

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MACKENZIE VALLEY ENVIRONMENTAL
IMPACT AND REVIEW BOARD

TECHNICAL SESSION FOR
PRAIRIE CREEK MINE

Mackenzie Valley Review Board staff:

Facilitator	Chuck Hubert
Staff	Alan Ehlich
Staff	Paul Mercredi

HELD AT:

Dettah, NT
October 6th, 2010
Day 1 of 3

1		APPEARANCES	
2	Alan Taylor)	For Canadian Zinc
3	Chris Reeves)	Corporation
4	Joseph Lanzon)	
5	Wilbert Antoine)	
6	Doug Pelly)	
7	Steve Moore)	
8	Chris Schmidt)	
9	David Harpley)	
10	Byard MacLean)	
11	Christoph Wels)	Consultant
12	Shannon Shaw)	Consultant
13			
14	Paul Green)	INAC
15	Krystal Thompson)	
16	Darha Phillpot)	
17	Lorraine Seale)	
18	Nathen Richea)	
19	Darnell McCurdy)	
20	Rochelle Drumm)	Consultant
21	Karin Taylor)	Counsel
22			
23	Wendy Botkin)	Parks Canada
24	Mike Sutor)	
25	Jamie VanGulck)	Consultant

1	APPEARANCES	(Cont'd)
2		
3	Sarah Olivier) Department of
4	Lorraine Sawdon) Fisheries and
5) Oceans
6		
7	Sharon Smith) GNWT Department of
8	Fons Schellekens) Environment and
9	Amy Jenkins) Natural Resources
10	Jessica Budgell)
11	Erika Nyysönen)
12	Aileen Stevens)
13	Gavin Moore)
14	Kris Johnson)
15	David Arbeau)
16	Michael Mageern)
17	Charlotte Schalkwyk)
18	Kristin Prendergast)
19	Jim Lee)
20		
21	Jane Fitzgerald) Environment Canada
22	Devin Penny)
23	Anne Wilson (via phone))
24	James Hodson)
25	David Tilden)

1	APPEARANCES	(Cont'd)
2	Peter Redvers) Naha Dehe Dene Band
3	Shauna Morgan)
4		
5	Caroline Lafontaine) Public
6		
7	Kate Witherly) CanNor/NPMO
8	Manik Duggan)
9	Matthew Spence)
10		
11	Chris Aguirre) Transport Canada
12	Doug Soloway)
13		
14	Murray Cutten) MACA GNWT
15		
16	Chief Fred Tesou) Nahanni Butte NT
17	Jim Betsaka)
18		
19	Joe Acorn) Dehcho First Nations
20	Jonas Antoine)
21		
22	Glen Sorensen) GNWT, MOG
23		
24		
25		

1	APPEARANCES	(Cont'd)
2	Ramli Halim) Hatch Ltd.
3		
4	David Caughill (via phone)) Golder Associates
5	Chris Madland (via phone))
6		
7	Bill Rozeboom) Northwest Hydraulics
8		
9	Frank Palkovits) Mine Paste
10	Monique Dube) Engineering
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1	TABLE OF CONTENTS	
2		Page No.
3	List of Undertakings	7
4		
5	Discussion period	9
6	re Access Road	
7	re Fisheries	
8	Re Water quality and quantity	
9		
10	Reporter's Certificate	220
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1		LIST OF UNDERTAKINGS	
2	NO.	DESCRIPTION	PAGE NO.
3	1	Robertson GeoConsultants to provide	
4		a summary of the calculations of	
5		how they got the 100 litres per	
6		second as the upper limit	133
7	2	Canadian Zinc to advise if they are	
8		aware of nutrient enrichment	
9		observations being made farther	
10		downstream	142
11	3	For CZN to have an integrated number	
12		that includes the managed water	
13		plus the site run-off, plus the	
14		sewage contribution and gives an	
15		end-of-pipe characterization that	
16		includes more than just the MMER	
17		parameters, and that would be	
18		including the nutrients, the major	
19		ions, and the metals in the tables	
20		and to complete within one week.	150
21	4	Canadian Zinc provide with an estimate,	
22		preferably modelled information, that	
23		indicates what the predicted nutrient	
24		enrichment will be, how far downstream,	
25		and what those impacts will be.	153

1 --- Upon commencing

2

3 THE FACILITATOR: Because we've begun a
4 bit late, I'll quit there, basically. And I'll turn the
5 mic over to Canadian Zinc Corporation and let them
6 introduce themselves, first of all.

7 MR. ALAN TAYLOR: Hello. Everybody hear
8 me okay? Good. Well, good morning, ladies and
9 gentlemen. My name's Alan Taylor. I'm the COO of
10 Canadian Zinc Corporation. We've been working with
11 Prairie Creek for many years now, and it's good to see
12 that we finally are advancing through the operations
13 applications here. And -- and I anticipate a good,
14 constructional three (3) day session. Then, hopefully, it
15 will alleviate all concerns and issues, and we can move
16 this project forward in a -- in a timely manner.

17 I do have with me some of my colleagues.
18 To my left is Dave Harpley. He's the lead for the
19 environmental assessment here, and he'll be doing the
20 majority of the discussions and leading here.

21 I also have my colleague, Chris Reeves,
22 Joseph Lanzon, Wilbert Antoine, and our -- our chief from
23 Nahanni Butte and our rep from Nahanni Butte, Jim
24 Betsaka. Thanks to them for coming. And we have a
25 number of consultants that are available from time to

1 time whenever necessary. And I have one (1) in front of
2 us today, Byard MacLean. He's lead engineer from SNC-
3 Lavalin. He's been helping us out with various aspects
4 of the operation, and he should be able to address any of
5 your questions, hopefully, too.

6 So I'll look forward to a productive
7 session here. And, with that in mind, I'll thank the
8 Board, and let's move ahead.

9 THE FACILITATOR: Thank you very much.
10 So we'll begin with our agenda -- the first agenda item,
11 which is spe -- the access road, and, specifically,
12 access management for the road. I know people from INAC
13 are specifically here to address this item, and -- and so
14 I'd like to hear from them, please.

15 And there's a microphone that will be
16 passed around to the tables, as well as a standing mike
17 for those who prepared -- prefer to stand. So I'm not
18 going to pick on anybody to start, but whoever would like
19 to start, please start.

20

21 (BRIEF PAUSE)

22

23 MR. PETER REDVERS: Peter Redvers. I'm
24 helping to represent the Naha Dehe Dene Band on -- with
25 respect to the EA. If I just maybe put the -- the issue

1 of access in context before Darnell speaks, and that way,
2 I think, what he'll be speaking to might make a little
3 more sense.

4 There has been, certainly, agreement
5 between Canadian Zinc and the Naha Dehe Dene Band that
6 the preference is to have limited access and controlled
7 access to the road.

8 There seems to be some empathy for that
9 among some of the other agencies. Certainly Parks, we
10 understand, will be controlling access of their boundary
11 or looking in that, but have some interest also in,
12 perhaps, having the control further towards the Liard
13 Highway, on what are now considered to be, or viewed
14 legally as, Crown lands.

15 So we pursued that. The Naha Dehe Dene
16 Band pursued that in cooperation with Canadian Zinc and
17 in meetings with the regulatory agencies to try and find
18 out whether or not that is possible.

19 The current legislation doesn't allow for
20 restricting access on what would be considered a public
21 road on Crown land, even though it is being constructed
22 by Canadian Zinc. Once constructed, apparently it is
23 designed a -- reviewed as a public road, and, there --
24 therefore, access can't be restricted.

25 We looked then into the idea of leasing of

1 the Naha Dehe Dene Band, or directly, or through the
 2 Tthenaago Development Corporation, leasing a large area
 3 of land. I don't know if my little pointer will go quite
 4 that far. A little too far, I guess. Oh, did I get you
 5 in the -- yeah, right in around.

6 There's interim land withdrawals, a large
 7 area in here that falls under interim land withdrawals
 8 under the Deh Cho process, and there can be no leasing or
 9 -- of -- of lands in that area. So once you move along
 10 the base of the -- the Nahanni range there and get just
 11 outside of that interim land withdrawal area, the Nahanni
 12 Butte Band was looking at leasing a fairly large area,
 13 and, therefore, trying to control access by having a
 14 lease on the land. But in discussions with INAC it
 15 became clear again, looking at the legislation
 16 regulations, that the leasing would not allow for control
 17 because the road through the lease would still be deemed
 18 as being non-leased lands, crown lands, and, therefore,
 19 it would still be a public road.

20 Now certainly there has always been the
 21 option and is the option of establishing what would be
 22 referred to as a voluntary checkpoint, and Canadian Zinc
 23 could set that up. It could be set up, again, as a
 24 partnership between Canadian Zinc and the Naha Dehe Dene
 25 Band.

1 It is voluntary, however, and, therefore,
2 people could still come on that road and would not have
3 to stop or -- but at least there could be some
4 monitoring. We also learned that there could be posting
5 of some fairly strong warnings, signs at that point,
6 basically trying to, in essence, scare people away by
7 indicating that there would be no support services, no
8 towing services.

9 Parking could per -- perhaps be restricted
10 along the road or at the turnoffs that the trucks would
11 be using to pass each other, et cetera, so, basically,
12 letting people know that if they go on the road they're
13 on their own, period. And that might certainly restrict
14 some people from making the decision to go on it.

15 But the other thing, and the last thing we
16 looked into as an option, was for the -- the band through
17 -- again, possibly through Tthenaago, the development
18 corporation, to purchase a section of land immediately
19 outside of the interim withdrawal area, and, by doing so,
20 negotiate a simple access agreement with Canadian Zinc
21 through that area and be able to at least set up a
22 checkpoint for that particular section of the road.

23 And, obviously, if that first or
24 preliminary section of the road is controlled, then the
25 rest of it is essentially controlled, as well. So where

1 we left off, I guess, is that we had put -- sent a
2 request, I guess, to INAC to look into whether that was
3 an option, and also table any other options that might be
4 possible. And I believe that is what Darnell is going to
5 be speaking to this morning.

6 So, hope -- hopefully, that provides a
7 little bit of the context in which INAC has -- is
8 speaking from at this particular session.

9 THE FACILITATOR: Thank you. A followup
10 question.

11 MR. DARNELL MCCURDY: Good morning. I'm
12 Darnell McCurdy. I'm the Director of Operations for
13 Indian and Northern Affairs Canada. The Land
14 Administration Unit falls within my directorate, so I
15 will attempt to answer Peter's question. In a general
16 comment, the summary that Peter provided is correct.
17 We've looked at those options that he discussed, and the
18 answers were given, and those were the correct answers.

19 In a general summary, there's -- there's
20 really nothing in regulation that would prevent the
21 Development Corporation from purchasing land, that --
22 that parcel of land. However, there's -- there's a
23 number of principles that INAC has to follow.

24 The first one is that we dispose of
25 territorial lands to meet -- to meet the legitimate needs

1 of the people and institutions living and conducting
2 business in the north.

3 The second is an important one when it
4 comes to land purchasing. Purchased land becomes fee
5 simple, and that is the highest ownership that you can
6 have. And, as an owner, you have the ability to do with
7 it what you like. So the second principle is to protect
8 the environment by regulating and controlling activities
9 and operations taking place on territorial lands.

10 Fee simple ownership would prevent that
11 type of regulating because there is no ability for INAC
12 or any other regulator to step in and say, You have to do
13 something. It is your land. You own it.

14 The third principle is that we provide
15 lands to the territorial governments and other government
16 departments and agencies to enable them to carry out
17 their legislative mandates.

18 And the fourth is that we ensure that, in
19 disposing of the lands, consideration is always given to
20 the question whether or not action impacts a special
21 fiduciary relationship with government with aboriginal
22 peoples, and that's all aboriginal peoples.

23 The -- these principles are applied
24 throughout the Northwest Territories, not on a case-by-
25 case basis, so it is something that INAC takes very

1 seriously. In the end, the -- the Application may end up
2 having to have an easement put through because the road
3 is an existing entity and it's similar to any easement
4 that you end up with in the City of Yellowknife.

5 On my private property, I have an easement
6 for a public utility which allows the power company to
7 come on my property whenever they see fit to do work
8 related to that utility. So there may be that
9 requirement that's -- that is there anyways, as an
10 existing third party interest already there.

11 Ultimately, we have to look at whether
12 there are other options to take care of the concerns that
13 Naha Dehe Dene Band has brought up. If it's a wildlife
14 concern, we may have to look at wildlife considerations
15 through other government agencies, other regulatory
16 authorities.

17 Gating is not the only means to control
18 the actual impact that is being indicated, which is a
19 fear of the -- of wildlife impacts. So I think that
20 there -- there needs to be some additional thought put
21 forth to consider, with other regulators, alternate
22 methods to meet the requirements that Nahanni Butte is
23 putting forth.

24 THE FACILITATOR: Chuck here. Does
25 anybody have a follow-up response to that?

1 MR. PETER REDVERS: Yeah, just for
2 clarification, I guess, Darnell. The route that is --
3 over which -- or the area in which the purchase might
4 occur or might be proposed is not an existing right-of-
5 way because it's the -- it's the newer area and there
6 haven't -- hasn't been particular interest granted in
7 that at this point in time. So it wouldn't be on the
8 current corridor. It would be in -- in the area of the
9 proposed realignment.

10 So I think an argument could be made that
11 there isn't -- isn't, in fact, an existing interest in
12 that. The issue, and I'm glad you raised the issue of
13 looking at alternate methods, including, you know,
14 perhaps looking at protection of wildlife. When one
15 moves into having to, in essence, restrict harvesting,
16 then the -- you've mentioned the fiduciary
17 responsibilities, Darnell, that INAC has, and the Section
18 35 responsibilities are quite -- certainly -- and the
19 need for consultation on that are quite significant.

20 And I would suggest, and I think we -- we
21 have had that discussion, that trying to put any kind of
22 a restriction on -- on harvesting using the -- the
23 available sort of Wildlife Act and other tools would be
24 highly problematic, and would be much more difficult.

25 Recognizing that even, you know, a

1 purchase, that there are some fiduciary responsibilities,
 2 basically, Section 35 interests that might be affected by
 3 removal of a -- in the grand scope of things, a
 4 relatively small parcel of land would likely require a
 5 lot less consultation, and certainly, because it's
 6 clearly within the Nah Dehe Dene primary land use area,
 7 may not be problematic and mi -- might be a much more
 8 easier route to go in terms of INAC Section 35
 9 responsibilities and dealing with those.

10 So the wildlife one, I -- you know, we've
 11 looked at it. Again, would likely be very problematic.
 12 So what I'm hearing is that, in principle, it is possible
 13 to pursue the option of purchasing; that there would need
 14 to be some consultation.

15 Because there is a proposed route, one
 16 would assume that Canadian Zinc would have input into
 17 that as they do have an interest, an -- an expressed
 18 interest, in the land, even though it's not consolidated
 19 in any way, but I -- I don't think that would -- would be
 20 a problem. I'm sure that issue could be resolved or
 21 worked out.

22 And as far as the other points that you
 23 mentioned, I'm not sure that they -- any of those would
 24 really create problems, depending on the nature and
 25 wording of the -- of an application. So what I'm hearing

1 is it -- it might be worthwhile to pursue that as an
2 option. Correct me if -- if I'm wrong or if you were
3 listening to all those points to try and dissuade the
4 community from pursuing that option.

5 THE FACILITATOR: Thank you. And that
6 was Peter Edwards for the transcription record.

7 MR. DARNELL MCCURDY: Thanks for your
8 question, Peter. Darnell McCurdy with Indian and
9 Northern Affairs.

10 As I indicated, there's nothing in
11 regulation or legislation to prevent it. I didn't
12 indicate that, in principle, it's a good idea. The
13 proposed route has not even been determined yet by
14 Canadian Zinc so to -- for INAC to accept any type of
15 application on a proposed route, we would not do that.
16 There's no guarantee that that road is going to go where
17 it's going to go.

18 The other thing is the Dehcho Land Claim
19 process is in place. There's been an order in council to
20 withdraw lands and the idea of a development corporation
21 purchasing additional lands is one that is not
22 acceptable. If there was concerns in the lands that have
23 been withdrawn, then that should be included in the
24 Dehcho process.

25 So while I said there's nothing in

1 legislation, there are processes and procedures that we
2 will follow and, though there may be the ability to
3 apply, there will be checks and balances put in place
4 that may end up rejecting that particular application.

5 THE FACILITATOR: Thank you. Comments in
6 the back?

7 MR. JOE ACORN: Joe Acorn, Dehcho First
8 Nations. I just want to understand you a little bit
9 better. You say legislation prevents you from preventing
10 access to the road, and you mention these principles.
11 What piece of legislation, exactly, is it, and why can't
12 you change that legislation? Legislation changes all the
13 time.

14 So, I mean, the MVRMA is going through
15 another round of amendments now. So why not make that
16 switch? Because this concern isn't a project-specific
17 concern, this project -- this issue has been raised with
18 Paramount Cameron Hills, it's been raised with the
19 pipelines, been raised in projects all over the NWT. So
20 why not fix it by fixing the legislation?

21 THE FACILITATOR: Thank you. A response,
22 please?

23 MR. DARNELL MCCURDY: Darnell McCurdy
24 with INAC. Fixing legislation isn't as easy as saying,
25 Fix it. We have political masters and we have

1 parliamentarians who decide what and when is going to get
2 fixed, and the Territorial Lands Act is not an Act that
3 is up for any type of updating or renewal.

4 MR. PETER REDVERS: Thanks, Darnell. I'm
5 not sure we're going to fully debate and resolve this at
6 this particular session, and certainly that's not the
7 intent. But, just for clarification on the land
8 withdrawals, the land withdrawals were specifically
9 around conservation lands and, certainly, the land
10 withdrawals don't represent what would be a full land
11 quantum under the Dehcho process. So -- so, certainly,
12 Dehcho is not limited to land selection if they go that
13 route on -- on -- simply on the -- on the interim on the
14 withdrawn lands. Those are, again, primarily -- were put
15 in place as a conservation measure.

16 So all I'm hearing, I guess, is that,
17 simply put, is that if, in principle, and there isn't
18 legi -- if there isn't legislation or regulations that
19 restrict, in principle, the Nahanni Dene Band applying
20 for a section of land, irrespective of what it's going to
21 be used for, for economic development purposes outside of
22 the interim land withdrawal, then certainly the Band can
23 initiate that process and then that can get tested and --
24 under the principles that -- that might apply, and
25 processes can kick in that would allow for those kinds of

1 issues to be -- to be resolved.

2 So that is something that the community is
3 -- is going to have to reflect on and consider in terms
4 of where that would lead, as opposed to trying to pursue
5 some sort of wildlife restriction which I -- again, I
6 think it would be really, really highly problematic and -
7 - and much more complex than this process. But, for now,
8 certainly, the intent here was to at least get a sense of
9 what the options are, legally, and then for the community
10 to -- to reflect on those and to determine whether or not
11 one of those might be pursued ,gain, respecting the fact
12 that the final fallback is -- is a voluntary checkpoint
13 with some, you know, fairly strong language in terms of
14 people using that road at their own risk, which can also
15 have some effects as well, there's no question about
16 that.

17 So, at this point, if you have any more
18 comments, I think we certainly understand what the issue
19 is and where there may be some options, and it's a matter
20 of reflecting on which one the community may want to
21 pursue.

22 THE FACILITATOR: Thank you very much.
23 Does the developer have -- oh, sorry.

24 MR. DARNELL MCCURDY: Darnell McCurdy
25 with INAC. Just as clarification, the interim land

1 withdrawal for the Dehcho is a land selection process,
2 not solely for conservation from an INAC point of view.
3 It is to take care of the concerns that have been raised
4 in the aboriginal and treaty rights that are in that
5 area. So, in fact, it is to deal with this type of
6 thing, not just conservation.

7 MR. ALAN TAYLOR: It's Alan Taylor,
8 Canadian Zinc. Just to make a quick comment on -- on
9 this debate, which won't be resolved today, but, you
10 know, just from a logistical, practical, operations
11 perspective, the company needs access restriction, and
12 that's just to preserve the integrity of the operation
13 and avoid any safety issues and what have you, and that -
14 - that -- we -- we do need that. And that will be
15 enforced in some -- in some way, shape, or form, and
16 maybe -- maybe, perhaps it can play into and int --
17 integrate with Nahanni's wishes and such, too.

18 MR. DARNELL MCCURDY: Darnell McCurdy
19 with INAC. Thanks, Alan.

20 Access to federal crown lands to the
21 public cannot be restricted, that is something that has
22 to be understood. Federal crown lands are available to
23 every member of the public and, as the government is
24 representing the people, the crown lands are the people's
25 lands. They have the ability to access them.

1 There are no other licences of occupations
2 in the Northwest Territories that allow for any type of
3 access restriction. The winter road that runs the -- up
4 to the go -- the diamond mines has no restrictions. They
5 have voluntary monitoring stations. This is a common,
6 standard practice that is applied throughout the NWT,
7 period.

8 And every industrial road that is being
9 developed is being treated the same way. Ultimately, at
10 the end of the day, under section 44 of the NWT Act,
11 existing roads are the GNWT's responsibility. The GNWT
12 is not taking authority over those roads yet. And, in
13 the absence of that, we have a choice. INAC can walk
14 away and there will be a regulatory hole where there is
15 no governance, no regulatory compliance, no enforcement,
16 or INAC can step in and make sure that the environment is
17 protected through a regulatory instrument. That's kind
18 of where we sit with this at this point.

19 We are working with I -- GNWT/MACA to
20 allow them to develop their processes and policies and --
21 and instruments so that they will take over these roads
22 in time. But in -- until that happens there is a
23 loophole. And it's up to us, as people in the NWT, as
24 companies with social licence, and as others, to protect
25 the environment through a regulatory instrument. If

1 that's not the way that -- that the people want to go,
2 then we can revert to a different manner, a different
3 method, which will see there being no regulatory
4 instrument for that road.

5 So that's the point we sit at. INAC is
6 not going to allow access. We're not going to step away
7 from our standard practices that we apply consistently
8 throughout the NWT, where we have an interim land
9 withdrawal, we have a Dehcho process on the go to allow a
10 road to be restricted in access.

11 I honestly think that we have to look at
12 other methods of taking care of what is concerned, which
13 is -- which is wildlife. And I honestly believe that if
14 wildlife is that concern, you deal with it specifically,
15 not use a Bandaid approach to present -- to prevent
16 wildlife harvesting by putting a gate in.

17 MR. ALAN EHRLICH: Before I move the mic
18 any further, I just noticed that -- and that diverges
19 from the subject -- but there are a lot more people in
20 the room than there are names on this list. Our
21 transcriptionist in Calgary, later on, is going to be
22 trying to capture and attribute every statement that's
23 made here. It makes her life much easier if this is
24 complete. I'm going to circulate this while the comments
25 are going. I hope it's not a disturbance. But just

1 look, and if you're name's not on this, please put your
2 name on this.

3 THE FACILITATOR: Thanks very much, Alan.
4 As a followup to those -- these remarks, and they've been
5 well laid out, I'd just like to mention my -- my
6 experience, work experiences in the Yukon.

7 Pre-devolution, there was a mine called
8 Kudz Ze Kayah. It's a lead zinc mine. In that instance,
9 a lease was granted for the road by INAC, and they found
10 a way somehow under the Territorial Lands Act to make
11 that happen. And I don't know -- I was with the Yukon
12 Government at the time. I'm not quite sure how -- how
13 that was actually put into -- into being, but it was --
14 it was -- it's an INAC lease in the name of Cominco and
15 it still sits there.

16 And the purpose of the lease was,
17 specifically, to protect wildlife. So while it may not
18 have been done in this territory, across the border a way
19 was found to have a lease on federal land for an
20 industry-specific access road.

21 Post-devolution, a similar lease has been
22 placed on the entrance to the Wolverine Mine, as well,
23 also in the Yukon. So, just as a note, that -- as -- as
24 a followup to those comments.

25 Any other comments on access management?

1 UNIDENTIFIED SPEAKER: We've got a
2 comment right here. Please start with your name.

3 MR. DAVE HARPLEY: Dave Harpley, Canadian
4 Zinc. Obviously, what we're looking for is access to the
5 site, control of that access if possible, and minimizing
6 impacts at the same time.

7 But I think we have to recognize what it
8 is that access entails. From the Liard end it means the
9 road is available for approximately two (2) months of the
10 year. And -- and when it's available it's in heavy use.
11 There is a lot of traffic on that road, something in the
12 order of forty (40) or fifty (50) trucks a day. So it's
13 going to be a busy road. And it's only going to be a
14 single lane with turnouts.

15 In addition to that, I think we also have
16 to think about what kind of impacts are possible. Bear
17 in mind that, as far as non-aboriginal access, they can
18 only basically go to the park boundary. So it's the --
19 the first half of the road.

20 In terms of wildlife, we know from our
21 data that we're not looking at high numbers of animals
22 along the road corridor. They're certainly there, but
23 they're not -- it's not a high traffic area. There are
24 some moose in the area. I imagine Nahanni Butte people
25 will have opportunity for harvesting, and let's perhaps

1 consider that first opportunity, because we fully expect
2 the Band to be involved in road construction and road
3 management in terms of security.

4 In terms of caribou, again, our
5 information indicates that while there may be a few
6 caribou in the area, it's certainly not an area where we
7 see great numbers of a particular herd. So that's kind
8 of the backdrop. We, as a company, would prefer if there
9 was a regulatory instrument to restrict access, but, at
10 this point, it seems that's problematic either from a
11 legal instrument or from a wildlife specific instrument.
12 Both require a fair amount of work and consultation, what
13 have you.

14 I guess what I'm saying is, as a company,
15 we don't mind either of those approaches, but I'm not
16 sure that we feel either one is specifically necessary
17 for protection.

18 We know we -- at this point we can't stop
19 people using the road, but we can certainly do as much as
20 we can to deter people from using the road, both
21 aboriginal and non -- non-aboriginal, with assistance
22 from folks from Nahanni Butte and literally point out to
23 people that it's a very busy road, it's a dangerous road,
24 you really don't want to be on it.

25 And I can't honestly see that a lot of

1 people would want to use it given that fact and given
2 that their opportunity for wildlife harvest is probably
3 going to be fairly limited fairly quickly.

4 So, as a company, I guess we're saying
5 that we would support an instrument if there was an
6 opportunity for it to be brought forward, but at this
7 point we want to move forward on the basis that we're not
8 sure it's essential, and we'll do our best to -- to
9 manage the road, to minimize impacts and promote safety.
10 And that's basically where we feel we're at.

11 MR. MIKE SUITOR: Mike Sutor, from Parks
12 Canada. I felt I should speak up here and give you what
13 Parks' perspective has been on the access issue. This is
14 -- is a matter that is of concern to us to some degree.
15 Obviously, we have nothing to do with controlling access
16 outside of park boundaries.

17 At the park boundary our -- our intent is
18 to, at the very least, deter access using motorized
19 means, and we'd probably do that via a gate of some sort.
20 Unfortunately, most of us that have worked with access
21 control know that gates aren't very effective. They just
22 keep the honest folks out. So there -- there is some
23 issues associated with that and -- and we are aware of
24 that.

25 That's one (1) reason we've been

1 interested and wanted to be involved in -- in problem
2 solving on this, just because we can come up with an
3 effective means of -- of managing access. It will --
4 whether it's in the park or outside the park, it -- it
5 helps us address our concerns within the park.

6 Speaking to some of what those concerns
7 are, we do have concerns about -- about wildlife and
8 fisheries, of course. You know, we're talking about an
9 area that really has no access into it, and now we're --
10 we're dealing with, at the very least, improved access.

11 Concerns such as damage to the landscape
12 from people getting off the road is -- is a possibility.
13 If folks are accessing it during non-frozen periods, then
14 there's potential damages that could occur to stream beds
15 and banks during crossings.

16 We also need to consider that this is a
17 mine development and mine developments every once in a
18 while do shut down because of low prices, what have not,
19 and you will now have an access road pushed that -- that
20 is accessible. And that means that in winter you may not
21 have vehicles on that road, so there -- it -- it does
22 provide an opportunity in -- in some cases, or it may, at
23 the very least.

24 I -- I also would tend to remark that I
25 don't quite believe that the access road is only going to

1 be accessible for two (2) months. I -- I've taken a good
2 look at the access in that area, or the proposed route.
3 It's on fairly dry terrain. And I think once that road
4 is in, it -- it's going to be quite accessible without a
5 doubt, so people will be able to move up that road. And
6 we do need to consider that.

7 As -- as far as I'm aware, talking to
8 various people from the community, people do use the old
9 alignment right now, although I think they do so probably
10 with great difficulty because it is through wetland
11 country and it's grown in quite considerably, but this
12 access route will be much more direct on drier terrain.

13 Specific interests of wildlife, I -- I --
14 you know, to some degree I'll -- I'll hold my comments
15 until we discuss wildlife, but my specific concern, even
16 though it's not my jur -- jurisdiction, in this area
17 would have been sheep.

18 Sheep are a species that there's not a
19 single access road in the no -- in the Northwest
20 Territories that directly accesses sheep habitat, and
21 this will be probably the first I'm aware of.

22 So I -- I guess where I'm going with this
23 is, as we move forward, we may or may not be able to come
24 to a solution on this probably definitely not during this
25 technical session. But when we start at least assessing

1 the impacts of access on various components within the
2 system, be it wildlife or fisheries, I -- I would like to
3 see access considered a little more readily in -- in
4 terms of impact, because I don't think that it's going to
5 be an easy solution, you know, and I think our
6 conversation today has -- has, you know, supported that
7 conclusion.

8 MR. ALAN EHRLICH: Alan Ehrlich with the
9 Review Board. I'm going to take this opportunity to pipe
10 up a couple of comments that I think people should bear
11 in mind throughout this session.

12 One (1) of them is: Although there's a
13 possibility of a second round of IRs, there's no
14 certainty of a second round of Information Requests,
15 which means that this may be your last opportunity to get
16 the information you need to prepare your arguments for
17 the Hearing.

18 I just encourage everyone in the room to
19 take the opportunity seriously and make the most of it
20 because, next thing that happens, you'll have the actual
21 Board members who are making a decisions on this
22 listening to you.

23 So if you do have issues here that you
24 want to discuss, you need more information either from
25 other parties or from the developer, please take the

1 opportunity. This is being done well with the road, but
2 I just want people to remember the context of this
3 session.

4 Another thing that I'd like to remind the
5 developer and other parties is that, yes, if this mine
6 proceeds there will be regulatory processes. However,
7 unless this -- if there are significant adverse impacts
8 that are likely, in the Board's view, and these are not
9 mitigated, the project will not be going ahead to
10 regulatory. So regulatory -- relying strictly on
11 regulatory instruments to resolve impacts is not
12 satisfactory if those are deemed to be significant
13 impacts.

14 I'd encourage parties to remember the
15 impacts you want to focus on here are the ones that you -
16 - you view as potentially significant, and I'd encourage
17 the developer to remember that those -- the potential
18 significance of those impacts has to be dealt with during
19 environmental impact assessment.

20 The regulators are only legally permitted
21 to deal with projects for which the Review Board does not
22 feel there are outstanding significant adverse impacts.

23 So I just want to provide a bit of
24 context, both to the session, practically, and in the --
25 the -- the legal setting here. And back to you, Chuck.

1 Correction, back to Darnell from INAC.

2 MR. DARNELL MCCURDY: Darnell from INAC.
3 Just to follow up with Chuck's comment on the lease in
4 the Yukon, we have to realize that the -- there is an OIC
5 here, and the OIC for the interim protection prevents any
6 type of issuance of this -- or any type of disposal of
7 land. And a lease is a disposal of land.

8 So though there may have been a lease
9 issued in the Yukon, we're dealing with a different set
10 of circumstances here because the road originates from
11 the Liard Highway and runs through the OIC, so it's not
12 the same circumstances that were found in the Yukon.

13 So though there was some type of -- of
14 instrument put in place, we don't know the -- the
15 background and the circumstances and the decision-making
16 process that went behind allowing that lease to occur.

17 That being said, though we're both bound
18 by the Territorial Lands Act, we -- or we were, when
19 there was -- prior to devolution, we still have our
20 processes and practices that we have to follow.

21 And I outlined those four (4) prac --
22 principles and those are still the things that we follow
23 through with. And we have to make sure that we take into
24 account that OIC which prevents the withdrawal -- or,
25 sorry, the withdrawal which prevents the disposal of

1 lands.

2 THE FACILITATOR: Thanks very much for
3 that clarification. I appreciate it. That's Chuck
4 Hubert. Comment from Peter.

5 MR. PETER REDVERS: Peter Redvers. I
6 lied when I said I wasn't going to speak again.

7 Darnell, just for clarity on that,
8 recognizing that the first portion of the proposed
9 realignment is in land withdrawal areas you mention,
10 certainly, and we're very clear on that, but that the
11 fact that it is within a -- an interim land withdrawal
12 under an Order in Council prevents you from granting
13 issuance in terms of either, certainly, a lease or
14 purchase.

15 But in terms of the use of a road, I mean,
16 under that Order in Council can that section of land be
17 used for the purposes that are being proposed by Canadian
18 Zinc under -- with the realignment of the road or is
19 there anything that would prevent that happening?

20 I -- I'm -- you -- you've -- you have
21 raised some issues to do with the OIC and perhaps if you
22 could clarify whether or not there would be any
23 extraordinary steps that would have to be taken in order
24 to use that portion of the road, proposed road that's in
25 the OIC, covered by the OIC, for the purposes of a -- of

1 a mine haul.

2 Some clarity on that would be useful. I
3 don't know if Canadian Zinc has pursued that at all or
4 looked at that. So if you have it now, that's fine. If
5 not, that's something we would -- we would certainly need
6 to know.

7 Again, we do note that if there was to be
8 a lease or a purchase by the Band or Tthenaago, it would
9 be outside of the interim land withdrawal area, it
10 wouldn't be within it, so it wouldn't be covered directly
11 by the OIC.

12 And just one (1) quick point, Alan, with
13 the point you raised, is that we recognize that there
14 isn't a -- there may not be a second round of IRs in the
15 technical hearing and certainly the opportunity to speak.
16 My understanding, though, is there's still a community
17 hearing and certainly the opportunity for the community
18 at that time, if some of these issues haven't moved a
19 little further along, and to articulate impacts or
20 potential impacts, as -- I'm assuming that's correct.

21 So there still is that forum, from a
22 community perspective, at least, to continue to raise and
23 -- and perhaps speak to where this particular issue is
24 at, at that time.

25 MR. ALAN EHRLICH: Alan Ehrlich for the

1 Review Board. Yeah, that's right, Peter. There will be
2 the hearing but, ideally, what you have for the hearing
3 is you've already figured out where you stand on what
4 issues and you know what you want to persuade the Board
5 for to do that. If you need additional information to
6 formulate your arguments, I was encouraging people to --
7 to work hard to get the information they need at these
8 sessions, as an opportunity.

9 But you're -- you're absolutely right. At
10 the hearing there are opportunities to question but by
11 that point, hopefully, you're not -- you know, it's not
12 likely you'll still be putting together your argument,
13 you'll be making sure the Board understands your
14 argument.

15 I'm -- I should also point out, if anyone
16 here is as desperately reliant on caffeine as I am,
17 there's a substance that's a lot like coffee in the tall
18 carafe at the back now. We apologize that that wasn't
19 ready beforehand and if you need to quietly slip over
20 there and fill a cup, you know, we -- we do understand.

21 Next speaker?

22 MR. DARNELL MCCURDY: Darnell McCurdy
23 with INAC. To answer your question, Peter, in general
24 terms the construction of a new road, whichever route
25 Canadian Zinc is going to go, would be done under a land

1 use permit. A land use permit is not considered a
2 disposal and, therefore, it would be allowed under the
3 OIC.

4 THE FACILITATOR: Thanks very much. Any
5 further follow-up questions on access management? If not
6 -- oh, sorry. Please.

7

8 (BRIEF PAUSE)

9

10 THE FACILITATOR: Go ahead.

11 CHIEF FRED TESOU: Good morning. My name
12 is Chief Fred Tesou from Nahanni Butte. And the reason
13 why we want to control this road is because this is our -
14 - our yard, this is our back yard. We have to live
15 there, me and kinder, both from the community, and this
16 is our land and we need to protect it. And, you know, we
17 need to control it. And I know, there's regulations and
18 there's a lot of stuff but this is our land. We have to
19 live there all our life, our children has to live there.

20 Oh, just to make one thing clear, is that
21 we -- we need to protect it for people going in there and
22 we need to control it. This is our community, this is
23 our land. I just want to makes -- make it clear to you
24 guys, we -- where we stand from Nahanni. Thank you.

25 THE FACILITATOR: Chuck Hubert. Thanks

1 very much. Developer?

2 MR. DAVE HARPLEY: Dave Harpley, Canadian
3 Zinc. Mitigation was mentioned a few minutes ago and I -
4 - I don't want to go through this in detail but I just
5 did want to cover a few points, the -- the biggest one of
6 which is, this is currently the -- the eastern end of the
7 road. And if you can follow my pointer, this is the old
8 winter road going around the Granger River (phonetic)
9 here out to the highway.

10 And what we propose to do is to realign
11 the road to come along the -- the lower slopes of the
12 Nahanni Range here towards Nahanni Butte.

13 To me, this is the biggest single
14 mitigation that we are implementing because we are
15 bringing the road closer to the community, not through
16 the community but closer, so that the community is much
17 better able to police the use of the road and monitor it,
18 and also take advantage of the benefits that would accrue
19 from their proximity to it.

20 So I kind of see this as the biggest part
21 of our mitigation, to -- to -- to really bring it into
22 their backyard, as it were, as opposed to being further
23 out where there -- it's much more difficult for them to
24 control.

25 In addition to that, we've talked about

1 control points, monitoring signs and what have you, and
2 we'll -- we'll look at that in more detail. But I just
3 wanted to point out what I thought is the biggest
4 mitigation at this point.

5 THE FACILITATOR: Thank you. Alan, go
6 ahead.

7 MR. ALAN EHRLICH: I'd like to ask INAC
8 in response to that: In INAC's view, does the community
9 have the legal authority to control use of that road?

10 MR. DARNELL MCCURDY: Darnell McCurdy
11 with INAC. Legal authority? No, because their
12 authorization is issued under INAC. Any -- the -- the
13 Licence of Occupation is an INAC authorization. The
14 inspectors who would look at that Licence of Occupation
15 are appointed according to the Territorial Lands Act, and
16 you have to be appointed by the Minister of DIAND to be
17 any type of enforcement officer under that authorization.

18 MR. ALAN EHRLICH: Thank you.

19 THE FACILITATOR: Thank you. Any further
20 comments or follow-up questions on access management? If
21 not, then even though the -- well, my minimalist agenda
22 doesn't actually mention coffee breaks, I think we'll
23 probably have one.

24 So, fifteen (15) minutes coffee break and,
25 as Alan mentioned, coffee is on. We'll see you in

1 fifteen (15).

2 MR. ALAN EHRLICH: Also going to remind
3 you that you're -- you're in a beautiful community here.
4 It's a great day outside. You might want to stretch your
5 legs a little bit and have a look around. It'll make the
6 session better; it'll probably make you feel better, too.
7 Thanks.

8

9 --- Upon recessing

10 --- Upon resuming

11

12 THE FACILITATOR: Okay, with that, folks,
13 we'll continue with our agenda. Next topic -- the next
14 topic we have -- sorry -- Chuck Hubert, Review Board.
15 Darnell was asked to provide some brief clarification on
16 our last topic, access management. Go ahead.

17 MR. DARNELL MCCURDY: Darnell McCurdy
18 with INAC. In discussions with Peter, it appears that I
19 may have not completely answered the question or provided
20 some clarity, so I'll do so now.

21 It regar -- it's in regards to the
22 purchase of the private lands that are on the north side
23 of the interim withdrawal area.

24 If the lands were purchased and the road
25 went through the lands, there would be a need for an

1 easement on those lands to reflect the ownership of the
2 road by the GNWT. Because Canadian Zinc builds a road
3 doesn't mean they own the road.

4 The road, by virtue of Section 44 of the
5 NWT Act, once it's constructed, becomes the property of
6 the GNWT. So if the GNWT was looking at maintaining that
7 road -- and when I say "maintaining", I don't mean
8 gravelling and snow plowing -- but if they were looking
9 at keeping that as a public road, there would need to be
10 an easement put across the pub -- the private lands which
11 would then allow for the public to access the road
12 through those private lands.

13 And that's what I was making reference to
14 when I was talking about my private land where I've got
15 an easement for a public utility.

16 So does that provide the clarity, Peter?

17 MR. PETER REDVERS: It's the kind of quer
18 -- kind of clarity that leads to more questions.

19 MR. DARNELL MCCURDY: Yeah, just to carry
20 that the one (1) step further then in the discussion we
21 had that if an easement was granted, you mentioned that
22 easement would become the property of the GNWT.

23 At that time, the GNWT does have or would
24 have some decision-making ability as to whether that was
25 a public easement versus a private easement, and maybe if

1 you could just speak to that a little bit.

2 And there -- there seems to be, by the
3 fact that GNWT hasn't picked up sort of the obligation
4 that they have under legislation and regulations, that
5 there's a bit of a gap there. But, in fact, that could
6 happen or that there -- there is certainly feasible for
7 the GNWT to have policy or regulation in place that would
8 allow that to be a private easement versus a public
9 easement. Is that -- and he's nodding his head. Peter
10 Redvers, by the way, speaking.

11 THE FACILITATOR: Thank you. A response,
12 please?

13 MR. DARNELL MCCURDY: Darnell McCurdy
14 with INAC. I -- I certainly can't speak for the GNWT but
15 in general land management practice, you -- you're
16 correct, Peter, you can have a public or a private
17 easement. It's going to depend on the legislative
18 framework under which the GNWT is working; it's going to
19 depend on their policy framework. But there are the two
20 (2) options for the easement and it's general land
21 practice that it could be one (1) or the other.

22 THE FACILITATOR: Thanks very much. And
23 I'll remind parties that because these topics overlap
24 issues there's some transfer. And perhaps on the third
25 day when we discuss traditional land use and harvesting,

1 the issue of the access road may come up again and that's
2 fine. We can -- we can talk more about it then.

3 Now I'd like to move on to the second --
4 or our next agenda item, and it's Fisheries. And my
5 understanding is that Fisheries may not take up the
6 entire time until lunch but feel free to have time now to
7 ask questions. Any party, for that matter, can ask
8 questions, Fisheries related.

9 UNIDENTIFIED SPEAKER: I'm -- I'm
10 assuming the DFO corner over there is probably a group
11 that has something to say about the Fisheries.

12 Do you have questions?

13 MS. LORRAINE SAWDON: Good morning.
14 Lorraine Sawdon with Fisheries and Oceans. We're going
15 to keep this part short. A number of our questions are -
16 - will be addressed underneath the different headings in
17 the agenda. But we thought we'd take this opportunity to
18 identify that at this point in the process we're not sure
19 if we'll be issuing an authorization or not, as we're
20 waiting for -- or we will require more information to
21 make that decision.

22 As we get that information we're more than
23 willing to work with the Board and obviously post things
24 on the Board's website. And our specific comments, like
25 I said before, will be coming up as the components over

1 the next day and a half are -- are brought up.

2 THE FACILITATOR: Thank you. Chuck
3 Hubert. What -- if I can ask, what additional
4 information would you require in making the
5 determination?

6 MS. LORRAINE SAWDON: Just a couple of
7 things. The diffuser or the pipe that the effluent's
8 coming out of, we just received the design last night.
9 We haven't had sufficient time to review it. I believe
10 there will be some additional information required about
11 that, how the pipe is going to be protected, for example,
12 footprint of the pipe, that kind of thing, downstream
13 impact, whether or not there will be avoidance by fish
14 from particular downstream habitat.

15 We still have questions about aggregate
16 sources and some of the borehole sites. Some of them,
17 looking at the map that were provided in the most recent
18 IRs show those locations to be in what may be alluvial
19 flood plains and so we want to have some conversations
20 around that.

21 We're still looking for clarification
22 around a number of the different crossings and certainly
23 looking at areas that either we -- we're not sure what
24 type of crossing is going to be used or if the crossing
25 type has been specified, what some of the installation

1 construction removal procedures will be.

2 And that information will be required
3 before we will be able to determine whether or not we may
4 have an authorization to issue.

5 We also want to work with Canadian Zinc to
6 avoid authorizing something. We want to promote use of
7 mitigation measures so that there isn't going to be a
8 harmful impact to Fisheries.

9 THE FACILITATOR: Thank you very much.
10 Do you have any specific questions for the developer at
11 this time?

12 MS. LORRAINE SAWDON: Lorraine Sawdon,
13 Fisheries and Oceans. We have a number of different
14 questions about a number of the different components of
15 the project, everything ranging from the diffuser or the
16 effluent pipe at the mine site, different road crossings,
17 borehole site, you know, looking at some of the different
18 containment possibilities for the transporting of various
19 components to and from the mine site. And these are
20 going to be addressed in the agenda. And we thought that
21 it would be helpful to include our questions during those
22 specific topics.

23 THE FACILITATOR: Understood. Thank you.
24 Sorry if I repeated myself and made you repeat yourself.

25 With that, any other questions, Fisheries

1 related, that -- okay, Peter...?

2 MR. PETER REDVERS: Peter Redvers. Just
3 a clarification from DFO. There is -- it is acknowledged
4 and, certainly, more clearly in the most recent
5 consultant report, that there is a -- is going to be a
6 loss of habitat, about 1800 square metres of habitat.
7 And there is the requirement, or the consultance [sic],
8 in the most -- the recent report that was released in
9 response to the IRs, was that there would be some
10 compensation looked at, including the creation of some
11 new over-wintering pools.

12 And I -- you've mentioned, though, that
13 you weren't sure whether there would be authorizations
14 required. Wouldn't -- wouldn't that require an
15 authorization, or is that covered under previous
16 authorizations?

17 MS. LORRAINE SAWDON: Lorraine, Fisheries
18 and Oceans. I believe what you're referring to is
19 there's an appendix or an annex in here that had a
20 letter, I think, from 2008, from Golder. And I think it
21 was, I'm going to get the year wrong, but 2007, I
22 believe, Canadian Zinc proposed doing road repairs
23 between kilometre zero and kilometre 10 from the mine
24 site, 10 kilometres out. They had four (4) sections they
25 wanted to repair.

1 DFO issued an authorization in conjunction
2 with those works. And the memo that I've seen in the
3 information provided were the options that were being
4 looked at for that authorization.

5 At this point in time, we're not sure if
6 we're going to be issuing a new authorization or an
7 additional authorization. Does that answer your
8 question?

9 THE FACILITATOR: Thank you. Is there a
10 follow-up question, Fisheries related?

11 MR. PETER REDVERS: Peter Redvers again.
12 Yeah, just when would there be some -- I -- I had -- I
13 guess the way I had read the most recent information was
14 that there had been previous authorizations, and that
15 included HADD, and that one (1) of the comments in this
16 was that the compensation actually hadn't been carried
17 out yet. So that was an issue.

18 But I also got the sense that there was
19 going to be some new damage or, I guess, or disruption to
20 some pools and that there was being proposed looking at
21 creating -- or compensating by creating some new pools in
22 Prairie Creek. The damage would -- would have been in
23 the Funeral Creek. So please clarify that. I may be
24 misreading that wrong. Perhaps the developer can clarify
25 whether the -- the -- we're simply dealing with the

1 previous authorization or whether there -- there is new
2 work being done.

3 Now the second thing it would be --
4 question following that one (1) is just that I'm -- DFO
5 is involved with some research and tracking of fish
6 species. Nahanni Butte is involved in that. I wonder if
7 you could just provide a little update or information on
8 -- on what sort of baseline work DFO is producing right
9 now, and when that might be available.

10 And, secondly, whether it encompasses just
11 bull trout or whether grayling is also being looked at.

12 UNIDENTIFIED SPEAKER: So I heard three
13 (3) questions from Peter Redvers. One (1) of them was:
14 Is this stuff covered under previous HADD work by DFO?
15 There was also a question on the company's view of that.
16 And then a question on whether or not Nahanni Butte --
17 correct me if I'm wrong on this, Peter -- but whether or
18 not Nahanni Butte was going to be involved in upcoming or
19 ongoing research in the area, and another question on
20 whether or not that included bull trout. I think I got
21 the second part wrong.

22 MR. PETER REDVERS: Yeah. No, Nahanni is
23 involved with that. I was just asking for an update on
24 that research work, or that baseline work that DFO was
25 involved in. The third question then was rela --

1 relating to whether it was bull trout, or bull trout and
2 grayling.

3 UNIDENTIFIED SPEAKER: Okay. That's
4 helpful, thanks. I'm going to go to DFO first. You can
5 answer the -- them through, and then I'll -- I'll let the
6 developer respond if he wants to.

7 MS. LORRAINE SAWDON: Lorraine Sawdon,
8 DFO. Sorry. So for an update, there's a number of
9 different people working together, DFO Science, DFO
10 Habitat, Parks Canada, and Nahanni Butte. And what we
11 have started this August is looking at movement and
12 habitat of the bull trout, and bull trout only. We're
13 not looking at arctic grayling in this study.

14 We're looking at the movement of bull
15 trout in the area of Pinot Creek (phonetic) and Prairie
16 Creek. And so for an update, in August, we went out and
17 we were able to capture a number of fish. We tagged
18 these fish. They've got acoustic tags, and we put
19 receivers in the Prairie Creek and Funeral Creek, and
20 some of the tributaries. And these receivers, when the
21 fish swims by them, if all the conditions work, the
22 receivers record which fish swam by, which of the tagged
23 fish swam by.

24 And so what we'll be doing is downloading
25 the data from these receivers to get a better idea of

1 where the fish are moving and what -- what -- where
2 habitat is more important. I think that's the update.

3 And arctic grayling, we're not looking at,
4 it's just bull trout, to answer that question. The
5 study's going to be ongoing for at least a year,
6 potentially longer. We'll see. No commitment there.

7 And when something will be available for
8 release, we can't give you a date right now. As I
9 indicated before, we're doing this with DFO Science, and
10 they go through a peer review process. I can find out
11 how long it would take to get through that process, but
12 depending on how long we do the study would impact the
13 length of time before things start to go through that
14 peer review process.

15

16 (BRIEF PAUSE)

17

18 MR. DAVE HARPLEY: Dave Harpley, Canadian
19 Zinc. Just a few comments on the -- the discharge.
20 We'll get into this probably a little bit later, but
21 maybe just to clear up a bit of confusion, we had
22 previously indicated that we were looking at a diffuser
23 to discharge water from the site into Prairie Creek. And
24 this would consist, essentially, of a pipe extending into
25 the creek bed with ports into a -- a kind of a deep part

1 of the -- of the bed, in order to promote mixing.

2 We've done more work on this through the
3 summer and, essentially, determined that the deep spots
4 we were looking for, while they're there, they're not as
5 deep as we hoped they would be, and came to the
6 conclusion with our hydraulic engineer that that's not
7 the -- the best way to go.

8 So we're currently proposing what I would
9 consider more like an outfall. So just to avoid some
10 confusion, we're not calling it a diffuser anymore. It's
11 literally more like a pipe which would come out of the
12 side of the catchment pond, more or less at the elevation
13 of the -- the bottom of Prairie Creek bed, and wouldn't
14 extend very far at all into the creek itself.

15 The reasons for this are, we -- we know
16 Prairie Creek is of a highly dynamic system with a lot of
17 energy during flood events, and we're particularly
18 nervous of possibility of damage to any discharge. And
19 we just think that a single pipe is a better way to go
20 for protection.

21 We'll still get some mixing. We're at the
22 point of estimating how much mixing will occur, how
23 quickly, in other words, the plume definition. And we'll
24 bring that information forward pretty soon here.

25 I guess we've got a bit of time, so we may

1 as well just continue on kind of things fish related, I
2 assume. Maybe we can take things off the table for --
3 for later.

4 As far as aggregate sources are concerned,
5 we can confirm that nowhere along the road would we be
6 looking to borrow aggregate from alluvial sources. So I
7 think we can assume that's a given.

8 As far as compensation goes, we have an
9 existing authorization to provide compensation for the
10 repairs to the winter road that we implemented over the
11 last few years along Prairie and one (1) section of
12 Funeral Creek.

13 We have been investigating options for
14 that compensation and it's not as easy as we first
15 thought, so it's taking more work and more consideration,
16 but it's -- it's still in the process.

17 As far as future compensation goes, that's
18 up to DFO at this point, in terms of whether it's
19 necessary. I -- I believe they will need to make a
20 determination based on the design of this outfall that
21 I'm talking about, as to whether it requires an
22 authorization or not.

23 THE FACILITATOR: Thank you. Question
24 over here.

25 MR. NATHEN RICHEA: Hello. It's Nathen

1 Richea with Water Resources with INAC. I just wanted to
2 follow up on, I guess, the discussion about an update to
3 the diffuser/culvert, and whether that was submitted to
4 the Board or if that's available to other reviewers yet.

5 MR. DAVE HARPLEY: Dave Harpley, Canadian
6 Zinc. We literally got it yesterday, and for the sake of
7 providing the -- let's -- let's say the main people who
8 were interested in it as much notice as we could, I -- I
9 did forward it to DFO. So, no, it's not been made
10 available generally yet, but it can be.

11 MR. NATHEN RICHEA: Nathen Richea with
12 INAC Water Resources. You mentioned that you're going to
13 be doing some work to determine mixing from the new
14 design, and I was wondering when that might be available.

15 MR. DAVE HARPLEY: Dave Harpley. I'm
16 hoping to get something today. I obviously need to look
17 at it first before I consider releasing it, but it's --
18 it's imminent.

19 MR. NATHEN RICHEA: Yes. It's Nathen
20 Richea, INAC Water Resources. One (1) followup on that
21 is we'd be very interested in this new information. And
22 we would be particularly interested to look at mixing
23 over the range of flows, high flows versus potential low
24 flows, and what conditions we may be expecting in the
25 downstream type environment from this new design, and

1 whether that will influence the impact assessment of
2 locations downstream from the point of discharge.

3 I guess one (1) final thing I would like
4 to add, I guess, on that is, sometimes we come up with
5 additional information requests directly related to the
6 information that's provided, and I don't know how the
7 Board or the Board staff feel about a process on that.
8 And I was wondering if someone can speak to that.

9 THE FACILITATOR: Thank you for those
10 comments. I can speak to that. Chuck Hubert, Review
11 Board.

12 Currently, in our work plan we have an
13 item scheduled next called "Information Requests if
14 Required". Now this means that parties, if, after this
15 three (3) day session, believe that further information
16 is required from the developer, they should submit that
17 in writing to me or to the Board with rationale for why
18 the Information Request is -- is needed by the particular
19 party.

20 If I -- if we can have that by -- well,
21 Monday's a holiday, next Monday -- so Wednesday, say, at
22 the latest, formal letter to the Board with rationale for
23 why any additional IRs, if there are any, might be
24 required, and that will be brought before the Board and
25 the Board will make a determination on that.

1 Thank you, Alan. Well, one (1) additional
2 item is: As you are aware from past assessments, we do
3 encourage parties to meet with the developer on the side,
4 and have meetings and record those meetings and -- and
5 provide that material to -- to the Board so that -- and
6 we'll put it on the registry so that all parties can --
7 can review that material and -- and are aware of the
8 discussions that have -- have occurred between the
9 developer and -- and parties.

10 MR. ALAN EHRLICH: It's Alan Ehrlich
11 here. I'm just going to jump in. I got you her
12 (INDISCERNIBLE). The -- the point that Chuck is making
13 here is an important one. We -- you -- you shouldn't be
14 left with the feeling that Information Requests are your
15 only vehicle for finding out more about, for example, new
16 technical aspects of the project that have been, you
17 know, recently introduced.

18 You are completely free -- any party is
19 free to meet with any other party, including the
20 developer, whenever they want and discuss whatever they
21 want. Although the Board's processes have to be open and
22 public when the Board is involved, parties are free to
23 meet with themselves to your -- your heart's content.

24 What we request is that if you're going to
25 hold one (1) of these meetings, the Board can't notice

1 that something exists unless it's on the public record.
2 The public record is the Board's universe when it comes
3 to decision-making.

4 So when you do meet together, if you want
5 the Board to be aware of what you've discussed and what
6 you got to with that, you have to write up a little
7 summary that says who was there, where you were, what
8 subjects were discussed and what came of it, as well as
9 if there are any new commitments that came out of that
10 meeting.

11 If -- if you do that, you could meet on
12 your own and then you can still get the information on
13 the public record, and you might be able to have a -- a
14 less formal and less structured flow of information about
15 new technical aspects of the project.

16 I -- I -- I don't want you to be left with
17 the idea that another round of Information Requests is
18 your only recourse at this point. I -- I cut David
19 Harpley off, so I'm going to go back to him, and I know
20 that Nathen has another point after that.

21 MR. DAVE HARPLEY: Dave Harpley. I was
22 going to say that a second round of IRs is one (1)
23 course. Another course might be that the company would
24 be motivated to be in contact with agencies requiring
25 additional information and would be keen to look at ways

1 of providing that information in a -- on an efficient
2 basis, not necessarily through the formal IR process.

3 MR. NATHEN RICHEA: Nathen Richea, INAC
4 Water Resources. I guess first I'll talk a bit about --
5 we can provide a letter regarding, you know, what we
6 talked -- what you mentioned previously, about why a
7 second round of Information Requests may or may not be
8 required. The specific details of that will be dependent
9 on the information and with -- we have time to receive it
10 and review it prior to that, so it might be general, it
11 may not be specific.

12 And, I guess, further and potentially
13 another way to deal with the additional information would
14 be a focussed technical session to deal specifically with
15 diffuser, the new design and how that changes anything
16 that's already on the record. It's just an option --
17 throwing it out there.

18 THE FACILITATOR: Thank you, and feel
19 free to suggest something like that formally.

20 MR. ALAN EHRLICH: Alan Ehrlich with the
21 Review Board. Also, let's not forget that you've got
22 three (3) days here where you can ask each other
23 questions to your heart's content.

24 I know that you only got the information
25 recently, but if you're able to work with colleagues to -

1 - to go over it and try and articulate questions by Day
2 3, and I -- I know that's not a lot of time, but you do
3 have a -- an easy opportunity to get that discussion on
4 the record, as well, because of the transcripts here.

5 Back to Nathen.

6 MR. NATHEN RICHEA: Nathen Richea, INAC
7 Water Resources. Yeah, we could try our best to do that.
8 We haven't seen the information to date, and it looks
9 like the mixing zone stuff hasn't been provided yet and
10 it may not be provided by the third day.

11 To change gears or maybe to go on
12 something a bit different, it's not Fisheries related,
13 but I -- I did want to talk a bit about sort of the
14 monitoring plan and INAC's Aquatic Effects Monitoring
15 Program guidelines.

16 And I'm just wondering, first off, if
17 you're familiar with Aquatic Effects Monitoring Program
18 guidelines that INAC released?

19 MR. DAVE HARPLEY: Dave Harpley. I'm not
20 sure "familiar" is the right word. I'm aware of them,
21 but we will have tomorrow, from eleven to twelve o'clock,
22 Monique Dube available by teleconference.

23 And if there are questions on derivation
24 of the site-specific guidelines, aquatic monitoring
25 programs, I would suggest that that's a good time to ask

1 those sorts of questions.

2 We're aware we need the appropriate
3 monitoring plans. I think we feel comfortable that we
4 have at least got a good baseline as far as aquatic
5 monitoring because of the work that's already been done
6 by University of Saskatchewan and INAC Parks Canada,
7 upstream, downstream and in the catchment in general.

8 So, like I say, familiar may be a bit too
9 strong, but we'll get to it.

10 MR. NATHEN RICHEA: Nathen Richea, INAC
11 Water Resources. Thank you for that. Maybe the majority
12 of where I was going to go with this will be held till
13 tomorrow, because I would like to speak with Ms. Dube,
14 and there wasn't an agenda item that -- that specifically
15 was for monitoring. That's why I brought it up.

16 But are you also aware, generally, of the
17 requirements for effluent, EEM-type monitoring, as
18 regulated under Environment Canada?

19 MR. DAVE HARPLEY: Dave Harpley.
20 Generally, yes.

21 MR. NATHEN RICHEA: Thank you for that.
22 It's Nathen Richea, INAC Water Resources. I guess one
23 (1) final comment before we talk about it, I guess,
24 tomorrow with Ms. Dube, is that INAC would be willing to
25 sit down with Canada Zinc (sic) and discuss the

1 monitoring and cooperation of -- of, sort of the EEM-type
2 monitoring and the guidelines that we've kind of
3 established for monitoring in the North and to work out
4 some details on a conceptual plan.

5 We understand it's going to be evolving
6 and it won't be finalized for some time, but just to get
7 the discussions going and -- and - and work together on
8 that. I'd like to share that with you. Thank you.

9 MR. DAVE HARPLEY: Dave Harpley. We'd be
10 happy to do that.

11 MR. ALAN EHRLICH: Okay, in light of --
12 it's Alan Ehrlich with the Review Board -- in light of
13 some new information coming up and what sounds like quite
14 late in the -- in the process, in other words very little
15 time -- parties have had very little time to process any
16 new information between getting it last night and the
17 information session today.

18 And Can Zinc has indicated that it can
19 make its -- its experts available, as well, to try and --
20 and discuss any -- any issues that -- that parties have
21 with us.

22 What I'm wondering, and I've discussed it
23 with Chuck, he's amenable to it -- is if Friday
24 afternoon, say after lunch on Friday, Can Zinc, you can
25 get your -- your various consultants available, at least

1 online since you weren't able to bring them in here in
2 person today.

3 And I'm wondering whether or not the
4 parties can find the opportunity to at least get some of
5 their -- their main questions on the table because you'll
6 have -- this can give you a -- a live Q and A opportunity
7 that is faster, easier, more efficient than -- than a
8 paper process.

9 Do you think that between now and -- and
10 Friday noon -- and I'm looking at Nathen Richea of Water
11 Resources when I say this -- do you think that -- that
12 you'll -- you can absorb enough of the material so that
13 that would be helpful to -- to have Can Zinc's
14 specialists available for a portion of this IR session?

15 MR. NATHEN RICHEA: Nathen Richea, INAC
16 Water Resources. It's difficult to say at this time. I
17 have not reviewed the modification or the additional
18 information. And I think it was mentioned that it may
19 not be released until tomorrow at the earliest because I
20 think he wanted to review it. He was expecting it today
21 and then he was going to review it prior to having it
22 submitted. So I -- I can't commit to having that -- a
23 full analysis done before Friday afternoon.

24 However, if there are any immediate
25 concerns we can potentially bring that forward if the

1 consultants are available, but I -- I can't speak to the
2 -- you know, a full in-depth review by the end of Friday.

3 MR. ALAN EHRLICH: Thanks, Nathen. I
4 wasn't wondering if you could do anything exhaustive
5 because I understand that, well, for one thing you're --
6 you're here, which stops you from being somewhere else.

7 And Can Zinc or Mr. Harpley, do you think
8 you can get your consultants standing by on the telephone
9 after lunch on Friday so if there are questions on the
10 new aspects they can at least field the -- the immediate
11 questions?

12 MR. DAVE HARPLEY: Dave Harpley.
13 Firstly, I can certainly provide you a copy of the
14 outfall conceptual design at the next break. I can't
15 speak to the plume model and -- because I obviously
16 haven't got it yet, although it may be sitting in my
17 inbox.

18 As far as having our hydrologist on the
19 telephone, he's already scheduled to be available Friday
20 morning, I think it's 10:00 till 12:00, because there are
21 some hydrology issues that morning in any case. So I
22 would suggest that would be perhaps the best opportunity
23 to cover additional items.

24 THE FACILITATOR: Okay. Thank you.
25 Chuck Hubert, Review Board. We can certainly discuss the

1 new information that you provide during that time frame
2 as it -- it is related to some of the items on the agenda
3 there.

4 MR. NATHEN RICHEA: Nathen Richea, INAC
5 Water Resources. Yeah. The only caveat I have on that
6 it would -- that would give us less time, so it would be
7 even more preliminary, I guess, but --

8 THE FACILITATOR: Good.

9 MR. NATHEN RICHEA: -- nonetheless...

10 MR. ALAN EHRLICH: I want to re-
11 emphasise, the Board is committed to a fair process and
12 procedural fairness, part of what it's required to do.
13 However, it's also quite determined to avoid undue
14 delays. And it's unfortunate that new technical
15 information has only been put on the table shortly before
16 a three (3) day technical meeting because the parties
17 really haven't had much of a chance to go through this.

18 The Board will do what it can to avoid any
19 additional delays in its process as -- as a result, but
20 that's part of why I'm -- I'm hoping we can pack as much
21 into this meeting as possible. I know that it doesn't
22 give you the opportunity for exhaustive review, but a
23 first kick at the can I thought might be -- it might be
24 helpful, at least kind of face to face with the experts
25 on the phone.

1 THE FACILITATOR: Thank you. Any other
2 further questions, Fisheries related? Peter?

3 UNIDENTIFIED SPEAKER: Actually, Chuck,
4 there -- there was -- just in midstream back there,
5 there's a comment from back here that -- that was before
6 Peter. So is it okay if we proceed in the order that the
7 -- thank you.

8 MR. JONAS ANTOINE: Okay. My name is
9 Jonas Antoine with the Dehcho First Nations. Under
10 Fisheries, I guess -- excuse me. I have a little comment
11 first. You know, only in a foreign system can you take
12 the fish out of the water and manage them separately,
13 that's what I see here.

14 Anyways, I think -- I might have a
15 question here and if I do have a question it would
16 probably be directed to Lorraine from DFO.

17 I understood that you give authorizations.
18 And also in listening to this earlier discussions, I
19 heard Peter Redvers mentioning something about 1,800
20 square metres of fish habitat would be destroyed. So I
21 think Fisheries and -- and I thought through this here
22 and I just can't think a way through this -- Fisheries,
23 like everybody else, I think in its best efforts to
24 manage their -- kind of have a catch-22 situation
25 because I know you have -- you give authorizations and in

1 some of your authorizations you also prevent, as well.

2 And one of your -- the things that you
3 prevent is the use of creek beds and in doing so it
4 allows disruption along the creek beds which washes into
5 the creek beds, so you're caught in that situation. And
6 I -- I know we're dealing with some other technical
7 matters and I think this is something that is of great
8 concern.

9 And as -- and me being Dene I have a lot
10 of humane concerns and this is something that -- a
11 project like this, you know, we expect these things and I
12 think we're here to determine how much damage can be
13 done. And -- and I -- it's -- it's kind of hard for me
14 to -- to really express what I -- I've got in my -- you
15 know, what I'm trying to say, you know.

16 But we all have to work together in order
17 to do what we have to do, you know. I think it's just
18 not one (1) person's job, and not just one (1)
19 department's job, but everybody's job to take care of all
20 of these things. So if -- if things are going to
21 proceed it has to be done to the best standards. So I
22 think what I'm trying to say is that, in your
23 authorization, I think in doing so you're also allowing
24 for the disruption of fish habitats. I think that's what
25 I'm trying to say. Mahsi.

1 UNIDENTIFIED SPEAKER: Mahsi. Lorraine,
2 would you like to respond.

3 MS. LORRAINE SAWDON: Sure. Thank you.
4 Lorraine, Fisheries and Oceans. You raised some very
5 good points and they're -- I'll try to -- to respond.

6 When we assess projects we look at the
7 project for -- we look to assess the project to determine
8 if there's going to be an impact to -- to the fisheries,
9 to the habitat. And if we think that there's going to be
10 and we issue an authorization most of the time we require
11 that the proponent provide what we call compensation or -
12 - or compensatory habitat.

13 And so while we're authorizing the damage
14 or the impacts to some fish habitat, we require that
15 there is a provision of fish habitat to an equal or
16 better quality. And we work quite hard to try and do
17 this, it's -- it's not something we find easy by any
18 stretch. And when you look at an area, such as where the
19 Prairie Creek Mine is, it certainly gets a little bit
20 more difficult.

21 But what -- we do strive towards our no
22 net loss policy. And this is where, if there is going to
23 be impacts to fish and fish habitat, that habitat of an
24 equal or greater value is provided so that we will always
25 have habitat for our fish.

1 UNIDENTIFIED SPEAKER: Thanks, Lorraine.

2 MS. SARAH OLIVIER: Sarah Olivier with
3 Fisheries and Oceans. And maybe just to clarify one (1)
4 point that seems to be coming out a lot is the fact that
5 there was mention of compensation within the IR responses
6 and how that relates to a previous authorization. And
7 that was reviewed under a previous EA for the phase 3
8 drilling.

9 I guess just to kind of keep those
10 separate because again, that -- that was reviewed under a
11 previous EA and that authorization was issued. And the
12 compensation, though it is still outstanding, Canadian
13 Zinc has been working very closely with DFO to find some
14 compensation options. I think what we're saying now too,
15 is that now we're assessing this new project and DFO
16 still has some outstanding questions that whether or not
17 there will be a need for an authorization.

18 And I think the difference between DFO's
19 authorizations as compared to a lot of other types of
20 authorizations is that, yes, we are authorizing an
21 impact. And so that's why it's very important for us to
22 have as much information as possible to be able to assess
23 how much of an impact that is and whether it's acceptable
24 or not.

25 And then compensation is another way of

1 kind of mitigating those impacts to make sure that
2 they're not significant. And, yeah, we usually work with
3 the proponent to -- I guess -- our last case scenario is
4 to give an authorization. We try to work as best we can
5 with the proponent to avoid any authorizations. So I
6 think our last case resort is to give out an
7 authorization.

8 THE FACILITATOR: Thank you very much.
9 Any further questions, comments, responses?

10 UNIDENTIFIED SPEAKER: May I just ask for
11 clarification? I want to be sure I understand the last
12 point.

13 So your point is that DFO strives to
14 prevent or mitigate the impact and if not, then mitigate
15 for it in a larger way with compensating so that -- that
16 giving an authorization to do the impact is your last
17 recourse. Thanks.

18 Peter, you've been very patient. Thank
19 you.

20 MR. PETER REDVERS: Just for clarity on
21 the previous discussion between Water Resources, the
22 issue of sedimentation and -- and a sediment plume, I'm
23 assuming that Rick, the dis -- Peter Redvers, by the way
24 -- I'm assuming the -- the issue of mixing and sort of
25 downstream effects was including a discussion of -- of

1 sediments and sediment plumes, is that correct?

2 I was trying to follow quite where you
3 were in terms of the issue being dis -- being discussed
4 because the -- I mean, we know there -- or it would
5 appear anyway, that there will be some high suspended
6 solids because of the nature of the material and -- and
7 how fine it is. And so there was some interest in at
8 least determining how the mixing would occur and how that
9 would impact on sediment plumes.

10 I just need clarity if that's the issue
11 that you're going to be looking at discussing once some
12 of this new information comes out. I'm not quite clear
13 on that, to be quite honest. So whether we raise that
14 now, or we leave that to the water discussion as a part
15 of the overall water discussion tomorrow, that would be
16 fine. Or again, perhaps become involved in any
17 subsequent discussions if that is an issue discussed at
18 that time.

19 THE FACILITATOR: Would Waters just like
20 to respond? The developer first?

21 MR. DAVE HARPLEY: Dave Harpley. I
22 haven't seen the plume data yet, but I'm pretty sure
23 that it will not specifically address sediment.

24 Peter, you referred to fine sediment and I
25 think maybe you're referring to fine sediment that we're

1 currently getting through our water treatment system in
2 the use of sodium sulphide to precipitate metals. And
3 that fine sediment does occur, but it's an issue because
4 the fineness of it makes it difficult to settle and,
5 therefore, increases the concentration of metals in the
6 discharge. It's not that the suspended sediment levels
7 are elevated in the discharge.

8 We have never had a problem of suspended
9 sediment being elevated in treated water or site runoff
10 and we don't think that will change through -- through
11 operations. So the -- the plume model will focus,
12 really, on the metal's concentrations.

13 UNIDENTIFIED SPEAKER: Just for clarity,
14 that's the information that will be tabled shortly once
15 you've had the opportunity to review it.

16 MR. PETER REDVERS: Okay. Thank you.

17 UNIDENTIFIED SPEAKER: Peter, are you
18 looking for a response from Nathen Richea, as well?

19 MR. NATHEN RICHEA: Nathen Richea, INAC
20 Water Resources. I guess in response to what Peter was
21 mentioning, we would be interested in that, as well, the
22 sedimentation part of the plume. If it's not part of the
23 mixing characterization that's available, I think it's an
24 important component of any type of effluent plume going
25 into a water body and it -- it needs to be considered.

1 It may very well be maybe not significant
2 but it -- it's something that definitely needs to be
3 assessed. Yeah. So I guess that's all I have for that.

4 THE FACILITATOR: Thanks for those
5 comments. Anything further from parties?

6 If not, then because there is, as been
7 noted, a fair amount of overlap between subjects and
8 water quality and quantities, next I would suggest that
9 we proceed directly to that topic.

10 What I'd like to do, however, is find out
11 if there's anybody on our teleconference. Is there
12 anybody on our teleconference line?

13

14 (BRIEF PAUSE)

15

16 UNIDENTIFIED SPEAKER: And that sounded
17 like Anne Wilson to me. Just hold on one (1) second,
18 we're working through a technical difficulty here.

19

20 (BRIEF PAUSE)

21

22 THE FACILITATOR: Okay. Let's take a
23 five (5) minute break while I try to get the
24 teleconference going then. Thanks.

25

1 (BRIEF PAUSE)

2

3 UNIDENTIFIED SPEAKER: Do you have
4 another comment, Anne?

5 MS. ANNE WILSON: Okay. I missed what
6 the comment was to be on. Can you re -- back up on that
7 for me?

8 THE FACILITATOR: Sorry. Chuck Hubert
9 here. Anne, we have concluded with a brief chat about
10 fish and aquatic life and we're going to move on now to
11 the agenda item that was originally planned for after
12 lunch, but since we have time we will proceed now with
13 water quality and quantity issues.

14 So I'd like to give you the opportunity to
15 ask the developer questions on that topic.

16 MS. ANNE WILSON: Okay. So as far as the
17 water quality goes, we're still looking at various
18 aspects of that. Our concerns are around the toxicity of
19 the treated effluent and getting a sense that there is
20 going to be a treatment contingency to ensure that the
21 toxicity is -- is taken out of the combined process and
22 mine water. So may -- should I stop there and let the
23 company go with that one (1)?

24 UNIDENTIFIED SPEAKER: Can. Zinc?

25 THE FACILITATOR: Are you prepared to

1 answer that question or do you need other personnel,
2 David?

3 MR. DAVE HARPLEY: Dave Harpley. I
4 wonder if we can just take a couple of minutes because
5 the -- Anne is still not coming through really clearly.
6 I think if we can fix that mic it'll be better for
7 continuing, and I need a couple of minutes just to...

8 THE FACILITATOR: Okay. Chuck Hubert.
9 Can we take that five (5) minute break revisited, please.

10

11 --- Upon recessing

12 --- Upon resuming

13

14 THE FACILITATOR: Okay, ladies and
15 gentlemen, if we can take our seats we'll proceed with
16 the water quality and quantity portion of the agenda.

17 Because we have Environment Canada online
18 with teleconference, we'll begin with questions for the
19 developer from Environment Canada. Anne, please.

20 MS. ANNE WILSON: It's Anne Wilson here
21 from Environment Canada, and I've got quite a number of
22 questions and I'm not really sure if I'm approaching this
23 in a logical format.

24 But I'm going to start with the release of
25 the effluent, and based on the toxicity testing that was

1 done for the process and the mine water, there is the
2 potential or likelihood of problems passing the acute
3 toxicity test at end of pipe.

4 And I'm looking for more information from
5 the developer on what treatment contingency plans might
6 they have in mind.

7 Did that come through okay?

8 THE FACILITATOR: Yes, excellent, thank
9 you. Developer, please go ahead.

10 MR. DAVE HARPLEY: Dave Harpley. Anne,
11 you can't see this, but on the screen here I've got a
12 spreadsheet and the lower part of which shows the -- the
13 flow rates on a monthly basis of the treated mine water,
14 treated mill water, and I've also estimated flows in the
15 site ditches.

16 And the reason I did this was I wanted to
17 get an impression of what the blend of the three (3)
18 streams would be in order to get a sense of what the end-
19 of-pipe discharge would be.

20 And what it shows is that from March to
21 December -- that's the period when we are discharging,
22 treating and discharging process water -- the ratios of
23 process water to the other two (2) streams, in March it's
24 a little over twenty-one (21), and the -- the low point
25 is in April which -- and it's currently two point three

1 (2.3), so, in other words, one (1) part process water,
2 two point three (2.3) parts mine water and runoff
3 combined.

4 The issue here is that when we did the
5 toxicity testing, we, at that point, had not finalized
6 our water management strategy, so we tested the
7 individual streams rather than a estimated blend for the
8 end of pipe.

9 And the toxicity results that came back
10 for the process water indicated that that water is
11 acutely toxic by itself. And that was the reason we did
12 not continue to do chronic toxicity testing on that
13 water, because there would be no point.

14 So we recognized that, at this point, we
15 don't have data for acute toxicity for a mixed stream,
16 and the way we propose to resolve that is we will do
17 further testing in the -- the startup phase when we're
18 actually producing the real effluent from the plant, and
19 then we will store that water until such time as we can
20 demonstrate that the discharge will not be acutely toxic.

21 This, of course, means that we have to
22 make sure that we provide for water management through
23 the startup phase and have adequate storage. But bearing
24 in mind that we're essentially starting from a completely
25 empty water storage pond, we're pretty sure that we are

1 going to have plenty of storage to play with and plenty
2 of time to do testing and confirm that the toxicity is
3 not an issue.

4 If we were to find that the toxicity still
5 is somewhat of an issue then we still have recourse to
6 making changes.

7 The process water treatment system is
8 based on a -- a first of pH reduction to approximately
9 five (5), and then the addition of sulphide to
10 precipitate metals, followed by the addition of lime to
11 raise the pH back again.

12 This is a process that we can tweak
13 somewhat. If we find we still have toxicity because of
14 some metals remaining we have the option to incrementally
15 reduce the pH a little more on the first step to make
16 sure we're dropping out the metals of issue and then we
17 would obviously re-do the testing.

18 So we're confident that we have the
19 opportunities to resolve this data gap during the start-
20 up period.

21 MS. ANNE WILSON: Should I pause at this
22 point to see if anyone else has questions or -- or
23 thoughts on the toxicity aspect?

24 THE FACILITATOR: Please continue with --
25 oh, sorry. Question here from the floor from a party.

1 MR. PAUL GREEN: It's Paul Green with
2 INAC Water Resources. Just looking at the spreadsheet
3 that's on the -- on the wall here, those numbers, like,
4 they don't match the water balances that I have from your
5 original submissions. Are they new numbers or are they -
6 - they've been updated since the submissions we received?

7 MR. DAVE HARPLEY: Dave Harpley. No,
8 they're not new numbers. They're numbers extracted from
9 the same water balance you would have been looking at.

10 The key numbers are the estimated treated
11 mine water and you're looking at a number there of
12 approximately 41 litres a second, and that's assuming
13 that we have a mine flow of approximately 50 litres a
14 second. The difference is because some of that water is
15 taken up in other losses in the system.

16 Now obviously, if we have more mine water
17 than fifty (50) then we're going to have more treated
18 mine water. And if we have less, then we have less
19 treated mine water. The treated mill water flows are as
20 they were before without any changes.

21 As far as the treated mine water goes, I
22 retained the 50 litres a second because right now that is
23 the best estimate of what we expect to see based on what
24 our consultant is telling us. And you'll learn more
25 about that this afternoon.

1 MR. ALAN EHRLICH: Can I ask a couple of
2 -- it's Alan with the Review Board -- a couple of just
3 general clarifications. As you know, I'm fairly new to
4 the file, Chuck is leading this EA. But I didn't fully
5 understand why you were unable to do chronic toxicity
6 testing. Could you just in layman's terms just describe
7 why not?

8 MR. DAVE HARPLEY: Dave Harpley. To do
9 toxicity testing you have to have a representative
10 treated water sample obviously. And that's relatively
11 straightforward for mine water because we can collect
12 mine water right now and do any type of testing we wish.

13 The problem with process water is you have
14 to duplicate the process that will actually take place on
15 site, the metallurgical process, which includes firstly a
16 representative mineral -- a sample of the mineralization
17 and then crushing, milling, flotation, everything else.

18 We did that work at SGS Lakefield and that
19 was the water that we used for the toxicity testing. At
20 this point it would be a considerable exercise to
21 duplicate that work and, obviously, we're not keen on
22 doing it at this -- at this point, and the backup being
23 the -- the fallback position which is we have the
24 opportunity to do it onsite and to make changes if we
25 need to if we do discover that we have acu -- acute

1 toxicity issues, which we don't believe we will have
2 because of what I'm showing you on the screen there in
3 terms of the dilution of that treated process water
4 stream.

5 MR. ALAN EHRLICH: I -- I think I -- I
6 get that. And the other thing is when I was onsite, this
7 must have been last year, I remember we -- we went on a
8 site tour. And my understanding at the time, and I think
9 you were showing us around there, was that the thing that
10 used to be the tailings pond, the -- the big dual-
11 chambered thing that used to have the sloping side that's
12 been repaired since, at the time I thought the plan was
13 only to have that holding clean water. It sounds like
14 that's change. Is that right?

15 MR. DAVE HARPLEY: Dave Harpley. Depends
16 on your definition of "clean." We have, since we issued
17 the project description report, I believe been fairly
18 consistent that we intend to use that pond that was
19 intended for tailings but never was used for tailings, we
20 intend to use it for storage of mill water and mine
21 water, the reason being that that allows us to both
22 dilute and age the process water so we can reuse it in
23 the plant.

24 So if that's your definition of "clean"
25 then that's what it is, but I wouldn't say clean; it's

1 probably a stretch.

2

3 (BRIEF PAUSE)

4

5 MR. ALAN EHRLICH: Okay. Paul Green is
6 indicating that he's -- he's all right with that. Nathen
7 Richea has a question. Can I go ahead, Chuck?

8 MR. NATHEN RICHEA: It's Nathen Richea
9 with INAC Water Resources. I'm just going to try to
10 follow up with some of the things I think Anne was trying
11 to get at. And I guess for me to sort of wrap my head
12 around it, I kind of need to explain maybe what I think
13 was done. So let me start.

14 So condu -- acute toxicity testing was
15 performed on the various water, streams, that you expect
16 on the site. One (1) or more than one (1) of those
17 toxicity tests failed for one (1) of those streams. Just
18 one (1)? Was that the process water or the mill water?
19 Was it the process water?

20 What I gather from the figure that's on
21 the wall is you propose a blend of mill water and, sort
22 of, I guess, surface water and mill water in order to
23 achieve no toxicity. Is that kind of what you propose?

24 MR. DAVE HARPLEY: Dave Harpley. It's
25 not a -- I wouldn't call it a case of doing this in -- in

1 order to avoid the toxicity. This is just showing you in
2 reality what the blend will be, based on the water
3 management approach we've selected at this point.

4 MR. NATHEN RICHEA: Nathen Richea, INAC
5 Water Resources. So the water management approach that
6 you have presented assumes the inflow to your mine of 50
7 litres per second. In the documents that you provided
8 to support your case for fifty (50), it indicates that
9 potentially it could go up to a maximum of a hundred
10 (100).

11 What are the -- what is the scenario for
12 acute toxicity if you rec -- if you reach the 100 litre
13 per second inflow rate?

14 MR. DAVE HARPLEY: Dave Harpley.
15 Curiously, if we got that quantity of water, it would
16 actually be better from a process water acute toxicity
17 standpoint because the proportion of the treated process
18 water and the discharge would be smaller.

19 I -- we'll see if we get to a hundred
20 (100). At this point, as I say, our consultant thinks
21 his best guess is in the fifty (50) range. So I -- I've
22 shown you what I believe is, you know, the -- the best
23 shot we have at this point to estimate what that blend is
24 going to be.

25 Essentially what I'm saying is that the

1 toxicity testing was done on the process water
 2 individually but it does not represent a true end-of-pipe
 3 quality. And I'm saying that we can't really know the
 4 exact quality of that end of pipe until we actually get
 5 into the startup phase when we have the real process and
 6 the real mine water treatment, and are able to take a
 7 blended stream and test it. Then we'll have true
 8 representivity (phonetic).

9 MR. NATHEN RICHEA: Nathen Richea, INAC
 10 Water Resources. Getting some weird feedback on this
 11 thing. But anyway, thank you for that explanation. That
 12 helps clarify it.

13 I guess what I'm trying to wrap my head
 14 around now is how the proposed blend will mix in the
 15 receiving environment in the condition where there's a
 16 new discharge method, I guess, being proposed, how that
 17 will mix such that we meet the water quality objectives
 18 in the -- in the receiving body. And, potentially, a
 19 problem could come about where whatever the water quality
 20 objectives are in the receiving body will dictate what
 21 the blend will need to be back in the mine.

22 So I'm trying to wrap my head around how
 23 we can understand -- how we can be protective and really
 24 understand what the blend will be. Some of that
 25 information won't actually happen until you actually

1 conduct your operation.

2 But there are ways to do the assessment
3 such that you can look at worst-case scenarios and look
4 at different types of modelling to determine what a
5 various -- a range of blends would do under a range of
6 conditions in your receiving environment.

7 I'm not sure we're at that point yet, and
8 I don't know how we can get there.

9 MR. DAVE HARPLEY: Dave Harpley. I guess
10 I assumed too much in, perhaps, how much detail you'd
11 looked at the treatment process. But the treatment
12 process consists of primary treatment of the mine water
13 and the mill water individually.

14 And after the application of acid sulphide
15 and lime to the process water and lime to the mine water,
16 separately, those two (2) streams then come together for
17 clarification.

18 So the discharge out of the -- the water
19 treatment plant is a combined flow of the mine water and
20 mill water before it even gets to the catchment pond.
21 Once that stream goes into the catchment pond, at that
22 point it blends with site runoff.

23 So the mixing occurs for the two (2)
24 treated streams, firstly, in the mill, in the -- in --
25 sorry, in the water treatment plant, and then, secondly,

1 with runoff in the catchment pond. And then only after
2 that point does the mixed blended stream discharge to the
3 environment.

4 As far as how we get to the testing and
5 the modelling, I don't know how we would do that given
6 that we don't have any more process water at this point.

7 And what I've explained is a way of
8 addressing that deficiency by having the ability to,
9 firstly, do the testing on real water during the startup
10 phase, and then storing that water until such time as we
11 can confirm that the discharge will not be acutely toxic.

12 And, secondly, if we find that we have an
13 issue, then we still have recourse for modifying the
14 treatment until such time as we can repeat that exercise
15 and again confirm it's acceptable.

16 MR. NATHEN RICHEA: Nathen Richea, INAC
17 Water Resources. Thank you for the description of how
18 you're going to manage the water onsite.

19 I guess I'm still just trying to battle in
20 my mind how the process is going to work. In your
21 Developer's Assessment Report and parts of the
22 appendices, you indicate that the potential exists and
23 it's likely that you're going to exceed your F1 quality
24 criteria in your water licence.

25 I guess I'm trying to understand. Acute

1 toxicity is one (1) of the requirements that you will
2 need to meet as part of your water licence, but there'll
3 be other requirements for concentrations in your
4 effluent.

5 What I'm trying to understand is: One,
6 the process works to sort of manage the effluent such
7 that we don't seek exceedances in the F1 quality
8 criteria.

9 And in order to make F1 quality criteria
10 applicable and practical for the site, we need to kind of
11 know what we're trying to achieve in the receiving
12 environment.

13 Typically, what we tend to do is come up
14 with objectives for the receiving environment. And when
15 we come up with a consensus or an acceptable objective in
16 the receiving environment, that informs the decision on
17 what acceptable and appropriate effluent quality criteria
18 should be, that shouldn't be exceeded.

19 Sometimes there are, you know, problems
20 with the treatment plant or problems onsite where you may
21 see exceedances in your EQC. When that happens,
22 typically the recourse is to stop discharge and to hold
23 the water onsite until you can get the problem rectified.

24 I see a disconnect in, first, what the
25 mixing zone's going to be. So at what point will we

1 actually achieve our objective in the receiving
2 environment?

3 And, then, secondly, what an appropriate
4 effluent criteria is and what needs to be achieve. And I
5 -- I just -- I just don't understand the logic or how we
6 kind of get to that point.

7 I understand, you know, this is a lot of
8 that have to do with sort of the regulatory phase, but
9 what we're trying to determine here is what the potential
10 effects are of this operation on that receiving
11 environment.

12 I just -- I have a difficulty in trying to
13 understand. You know, we talked a bit about acute
14 toxicity, and thank you for the information. You know,
15 potentially, the effluent will not be acutely toxic, but
16 there are a number -- a number of other requirements that
17 you'll need to meet.

18 And I just don't know how we can actually
19 do that when we acknowledge that EQCs may be exceeded or
20 the objectives may not be received -- or achieved in the
21 receiving environment. That causes a lot of problem
22 because then it brings into the consideration whether
23 there will be a potential for signif -- significant
24 adverse effects.

25 So I'm just trying to get my head wrapped

1 around that, and that I was hoping I could talk to
2 someone about the monitoring a bit tomorrow and -- and
3 touch on a bit of the acute toxicity.

4 But I think there's a number of
5 discussions that still need to be had on the topic, so I
6 think that's all I'll have for now, but if someone else
7 would like to --

8 MS. ANNE WILSON: It's Anne Wilson. Can
9 I jump in again?

10 THE FACILITATOR: Yes.

11 MS. ANNE WILSON: I was just going to
12 echo -- Nathan went exactly where I was going next, and
13 that was with the proposed effluent quality criteria that
14 were in the IR responses.

15 I find those numbers to be quite high.
16 It's good that it's proposed to track loadings, because
17 that's another important factor to the concentrations.
18 But we have to keep in mind that the objectives should be
19 met within a reasonable mixing zone.

20 And to know what the effects are going to
21 be, we should have some sense of a risk assessment being
22 done to see what -- what the environmental costs are of
23 allowing the receiving environment to attenuate the
24 effluent.

25 I think that we also need to talk a bit

1 about the proposed change to the outflow configuration
2 and, basically, we're just looking at using dilution to
3 reach the target levels.

4 So we -- we do have a fair bit more to
5 talk about on the effluent aspect.

6 MR. DAVE HARPLEY: Dave Harpley. I would
7 suggest that when we talk about effluent quality criteria
8 -- EQC for short -- we need to be specific on which
9 criteria we're talking about, because we've, in fact,
10 proposed two (2) different sets of criteria: one (1) for
11 end of pipe, and one (1) for in-stream receiving water
12 criteria.

13 I believe you're talking about the EQC
14 that refers to the end of pipe. Am I correct?

15 MS. ANNE WILSON: It's Anne Wilson of
16 Environment Canada. That's right, David, and those tend
17 to reflect the Metal Mining Effluent Regulation numbers
18 which are a minimum national standard. And I don't
19 necessarily feel they are appropriate for our pristine
20 northern waters, even in Prairie Creek which is more
21 mineralized than others.

22 And then we do need to talk about the idea
23 of a tiered or secondary compliance point for the
24 objectives and what that length would be and -- and what
25 risks are associated with that reach of the river being

1 used.

2 And I do want to reiterate that the MMR
3 and Fisheries Act are end-of-pipe which would be at the
4 very top outfall from the treatment.

5 MR. DAVE HARPLEY: Dave Harpley. In
6 terms of the end-of-pipe EQC, we selected the numbers
7 that are in the IRs to give us operating flexibility.

8 I think you would understand that during
9 normal conditions and -- and -- and even during
10 conditions of low flow, we could not discharge that
11 quality of water and still meet the second set of EQC.
12 We would be over the limit for most of those parameters.

13 So we're not in -- by -- by putting those
14 numbers out there, we're not suggesting that that is
15 going to be the quality of water that's going to be
16 discharging as a matter of course.

17 In fact, there is another table in the
18 submission which -- which gives a -- a prediction of what
19 the actual discharge quality will be. All we're trying
20 to do with the end of pipe numbers is to give ourselves
21 some flexibility for discharge in the event that we have
22 significantly high flows in the system, whether it be a
23 big freshet or, you know, a strong rainfall event. And
24 if we have the opportunity to -- to discharge more water,
25 whether it be a higher concentration or a higher load,

1 and still meet the in-stream criteria, then that's an
2 opportunity to do that without being constrained by the
3 first set.

4 MS. ANNE WILSON: All right. I
5 acknowledge that -- it's Anne Wilson -- that that would
6 be your approach. I'm just not that comfortable with
7 those high of limits being used for regulated limits.

8 THE FACILITATOR: Okay. Thank you, Anne.
9 Do you have a follow-up question?

10 MS. ANNE WILSON: It's Anne Wilson. Is
11 the company willing to do more work on a risk assessment
12 for the reach of the stream that would be between end of
13 pipe and background levels?

14 MR. DAVE HARPLEY: Dave Harpley. I don't
15 think we can make that call right now until we've
16 actually seen the -- the plume model and considered
17 basically as a first step for what kind of an impact
18 we're -- we're looking at.

19 MS. ANNE WILSON: Sorry. It's Anne
20 Wilson. David, I missed the middle part. You can't make
21 that call until you see what?

22 MR. DAVE HARPLEY: Until we see the --
23 the plume model and what the predictions are as far as
24 the mixing zone and then also considered what kind of
25 habitat utilization we're talking about in that mixing

1 zone.

2 MS. ANNE WILSON: Anne Wilson. What's
3 your time frame for that to happen?

4 MR. DAVE HARPLEY: You mean the time
5 frame for a decision?

6 MS. ANNE WILSON: Anne Wilson. I -- I'm
7 going to just leave my question for now. I'm really not
8 understanding what's being said, it's very hard to make
9 out and I think I'm confusing things. So just -- we'll
10 leave that for now.

11 THE FACILITATOR: Okay. It's Chuck
12 Hubert with the Review Board. Earlier, Anne, David had
13 mentioned that a mixing zone analysis would be
14 forthcoming, possibly tomorrow, and I believe that's what
15 he was referring to when he said an up and coming report.
16 If you can elaborate on that, David, for Anne's benefit.

17 MR. DAVE HARPLEY: Yeah. Anne, can you
18 hear me clearly now?

19 MS. ANNE WILSON: It's Anne Wilson.
20 Yeah. It's just a matter of reverberation on the line
21 that makes it difficult to make out some of the words if
22 you speak quickly.

23 MR. DAVE HARPLEY: Okay. I just -- we --
24 -- we can't actually begin to consider a decision on if we
25 have enough information or we believe we have enough

1 information or we want some additional information until
2 we've actually seen the results of the -- the plume
3 assessment. So I can't -- I can't give you an answer on
4 the need or otherwise for a risk assessment at this
5 point.

6 MS. ANNE WILSON: It's Anne Wilson. And
7 you were expecting that technical analysis in the next
8 short while? Is that what Chuck was saying?

9 MR. DAVE HARPLEY: We're expecting the
10 results of the plume modelling shortly, yes.

11 MS. ANNE WILSON: Okay. It's Anne
12 Wilson. Okay. I guess we'll leave it at that for that
13 one.

14 I was going to also reiterate Nathen's
15 concern that we talk more about the aquatic effects
16 monitoring program. Did I hear correctly earlier that
17 Monique Dube will be available tomorrow morning?

18 MR. DAVE HARPLEY: Monique will be
19 available from 11:00 to 12:00, yes, tomorrow.

20 MS. ANNE WILSON: It's Anne Wilson. So
21 we'll hold questions until she's online to discuss that?

22 THE FACILITATOR: That's our intent since
23 the person who can -- is best available to answer those
24 questions will be available at that time. So, yes,
25 we'll, if we can, restrict our comments on that

1 particular subject for that time window.

2 Would you like to proceed with further
3 questions, Anne?

4 MS. ANNE WILSON: It's Anne Wilson. The
5 other aspect of the water quality where I would like to
6 have more information, and I'm not confident it's going
7 to be available, is around the TDS.

8 I expect the major ions will be a factor
9 in the effluent quality that we will need to be concerned
10 about. David had pointed me at one (1) of the tables
11 with some sodium values, and they're looking to be around
12 1,000 milligrams per litre in the treated discharge
13 waters.

14 We don't have information, however, about
15 chloride and the other major ions that make up the TDS.
16 Is that information available anywhere within test work
17 that's been done?

18 MR. DAVE HARPLEY: I don't believe we
19 have that data -- data for the treated process water. We
20 can always generate it for the treated mine water, but
21 not on the treat -- on the treated process water.

22 MS. ANNE WILSON: Is -- it's Anne Wilson.
23 Is there any way to get at the effluent TDS as an
24 estimate?

25 MR. DAVE HARPLEY: Well, that was what I

1 was trying to do with the use of connectivity as a
2 surrogate in the absence of an actual physical TDS test.
3 That was why I used connectivity in that analysis.

4 MS. ANNE WILSON: Yeah, it's Anne Wilson.
5 I -- I did note that. It just doesn't give us the
6 information of the effect of the constituents of the TDS,
7 and it really doesn't give us a sense of how high that
8 might be in milligrams per litre. So I was hoping to get
9 a little further on that, but it doesn't sound like it
10 will be available for the process water?

11 MR. DAVE HARTLEY: Yeah, the only other
12 possibility is that if the lab has retained the sample
13 and we can do some further testing on it. But I can't
14 say at this point.

15 MS. ANNE WILSON: Okay, it's Anne Wilson.
16 That's it for me for the moment. I expect you guys are
17 looking at your lunch coming in.

18 MR. ALAN EHRLICH: Hi, it's Alan from the
19 Review Board. It sounds like this plume model is quite
20 important for parties to be able to evaluate the
21 significance of the potential impacts.

22 It makes me wonder about the timing of the
23 plume model. If it's not available before this technical
24 meeting, how soon can you have the plume model on the
25 table so that parties can go over it and discuss it with

1 you so they can understand this in time for them to get
2 their positions right for the Hearing?

3 MR. DAVE HARPLEY: Dave Harpley. I don't
4 know the answer to that. I was promised it today, but
5 give me a little bit of time on the break and maybe I'll
6 have an answer.

7 MR. ALAN EHRLICH: Thank you.

8 THE FACILITATOR: It is nearing
9 lunchtime, and it appears to be almost ready. So with
10 that, thanks everybody for your questions and answers and
11 patience with our odd technical glitch. Let's have
12 lunch. It's scheduled for an hour. See you then.

13

14 --- Upon recessing

15 --- Upon resuming

16

17 THE FACILITATOR: I'll start off with
18 asking if anybody's on our teleconference at the moment.
19 Can you hear me? Anybody on the teleconference?

20

21 (BRIEF PAUSE)

22

23 UNIDENTIFIED SPEAKER: Yeah, I can hear
24 you just fine.

25 THE FACILITATOR: Can you please state

1 your name?

2 UNIDENTIFIED SPEAKER: Jim Lee, acting
3 Water Resource officer on the file.

4 THE FACILITATOR: Thank you. Okay. We'd
5 like to continue where we left off prior to lunch. We
6 were discussing water quality and quantity, and
7 specifically tox -- effluent toxicity issues, and if
8 there are any further questions the parties have for the
9 developer on that. Let's start out with that.

10

11 (BRIEF PAUSE)

12

13 MR. PETER REDVERS: That woke me up.
14 We're a little -- maybe we can crank down my microphone a
15 little bit. Thank you. Peter Redvers, representing the
16 Naha Dehe Dene Band.

17 Just to back up a little bit, going back
18 to a couple of issues that Nathan was speaking to, the
19 first one (1) being a bit of clarity on the water flow as
20 a part of the whole treatment process. There was
21 something that came up that I wasn't quite clear on. It
22 didn't quite sync with my understanding, which is perhaps
23 a little less technical than Nathan's or some others, but
24 I think it's important that, you know, there is some
25 clarity on this one.

1 It relates to sort of the flow of water in
2 -- in the mine site prior to discharge. We know that
3 there is water being pumped out of the mine. My
4 understanding is, water coming out of the mine, that a
5 portion of that will go directly to the water treatment
6 facility, a portion of that will go into the water
7 storage pond, and that's a ratio that you can control to
8 some degree, depending on how much water you actually
9 want to discharge.

10 There will then be water pumped from the
11 water storage pond to the processing facility, and that
12 water will be used as a part of the -- of the -- of the
13 processing of the concentrate. Some of the residual
14 water will end up in the paste backfill, and the
15 remainder of it, my understanding, would receive some
16 initial treatment when it comes out of the processing
17 plant, and then would generally go back into the water
18 storage pond, because then it would be allowed to settle.

19 And that's where I -- you're shaking your
20 head. I need some clarity. What I heard, and that's why
21 I raise this point, was that once it had been treated
22 coming out of the processing plant, it would then go --
23 in fact, coming out of the processing plant it would go
24 directly to a water treatment facility and then discharge
25 through the catchment pond and the other associated

1 facilities, correct?

2 And I'm just wondering where the settling
3 would occur. We'll start with that and then I have some
4 followup.

5 MR. DAVE HARPLEY: Dave Harpley. The --
6 the process water is not treated in the mill. It's -- it
7 -- it's treated in the sense that it's after filtration
8 to separate the tailings from the -- the processed water
9 itself. And it'll be -- just in the neutralization of
10 the tailings, the ph will be elevated somewhere in the
11 order of about nine (9).

12 But at that point the process water stream
13 is split much the same way as the mine water stream is.
14 A portion goes to the storage pond and a portion goes
15 straight to treatment.

16 MR. PETER REDVERS: And again, that
17 portion is something that you will be able to control,
18 depending on your discharge, your desire to have some
19 further dilution or settling, correct?

20 MR. DAVE HARPLEY: Correct.

21 MR. PETER REDVERS: So as you mentioned
22 then in the treat -- water treatment facility there are
23 actually two (2) treatment processes, one (1) simply for
24 the mine water, one (1) for the process water, and then
25 the mixing would occur on the output, basically, of the -

1 - or would occur inside, or as a part of that treatment
2 process?

3 MR. DAVE HARPLEY: Correct.

4 MR. PETER REDVERS: And then would flow
5 into your -- and the catchment pond is still -- now that
6 you've moved away from the diffuser and back to somewhat
7 modified direct discharge, the catchment pond would still
8 play a role in some settling to -- to occur prior to
9 active discharge?

10 MR. DAVE HARPLEY: The catchment pond's
11 primarily for collection and settling of runoff. It's
12 not necessary for settling of the treated water, because
13 the treated water goes through a clarifier, which
14 effectively takes the place of a settling pond.

15 MR. PETER REDVERS: Okay. With that
16 then, and then just the third area of water, which is the
17 ditch water, or area that's been gathered from the
18 surface, and that goes -- also is gathered and goes
19 through some water treatment process?

20 MR. DAVE HARPLEY: No, we don't expect
21 the ditch water is going require treatment.

22 MR. PETER REDVERS: Okay. Well, just the
23 question I have on that, I guess, relates to the data
24 that was presented on air emissions, and the fact that it
25 looks like, anyway, from some of the data, that there

1 will be concentrations of some minerals deposited through
2 the air on the site. I'm assuming those would be
3 collected through surface runoff and flow into the
4 ditches.

5 Is there any possibility that -- that that
6 combination of contaminants coming in through the air and
7 being picked up through surface water would create some
8 toxicity?

9 MR. DAVE HARPLEY: I believe the -- the
10 air quality guidelines are fairly strict. I don't think
11 that we're going to get any sificant -- significant
12 fallout of particulates that would generate a water
13 quality issue. It's more of a particulates type of
14 issue, not -- not metal bearing.

15 I was somewhat surprised that the main
16 source of particulates apparently is going to be, or at
17 least the predictions are, from the exhaust from the
18 underground ventilation. We somewhat question that
19 conclusion anyway, because it's a fairly wet mine, and we
20 just don't see a lot of particulates being generated.
21 But that's the predictions at this point.

22 MR. PETER REDVERS: Going back to the
23 chart that you had on in the ratio of the -- sort of the
24 mix of the mine water versus the mill water, or the
25 process water, if you have that chart.

1 (BRIEF PAUSE)

2

3 MR. PETER REDVERS: That's fine. I -- I
 4 mean, I can speak to it. We're not -- I'm not really
 5 speaking to exact numbers, I guess. I guess the question
 6 just relates to when we look at that dilution, the -- and
 7 from the September 6th, 2010 report from Robertson
 8 GeoConsultants, there is some -- some recognition that
 9 there would be, in the groundwater interaction, some
 10 leaching from paste backfill, that -- that that would not
 11 be an issue, according to this report, in terms of
 12 groundwater flow or -- or particular problems in terms of
 13 groundwater.

14 However, that water, if there is some
 15 leaching, will be pumped out and go through the
 16 processing facility. So I'm assuming that the water
 17 processing or water treatment facility would be able to
 18 take into account that there would be some contaminants
 19 that would have entered that through leaching. Because I
 20 guess I'm just wondering how that effects -- if we're
 21 assuming that the mine water in that ratio is -- is
 22 reasonably clean, or relatively clean, and that the -- if
 23 there was some contaminants, that they would be in the
 24 process water as such.

25 But is there the possibility that there

1 would be some increased contamination of the mine water,
2 such that those -- you're -- you're already working, in a
3 sense, with mine water that has some degree of -- of
4 material or contaminated or toxic materials in it, and
5 whether that would change in any way the -- the ratio or
6 the im -- the potential impacts from a discharge?

7 MR. DAVE HARPLEY: Dave Harpley. I'm not
8 sure I understand the question. What additional source
9 are you talking about, groundwater and where from?

10 MR. PETER REDVERS: Well, I think in your
11 look at the mine water, and assessment of toxins or
12 contamination in the mine water, that's pre -- paste
13 backfill. So there will be, with the paste backfill,
14 some leaching and there will be some change in the
15 chemistry of the water that's being pumped out.

16 I'm just asking the degree to which that's
17 being taken into account in the water processing so that
18 it is, in fact, a true dilation -- dilution that's
19 incurred and you're not really treating toxic water with
20 water that itself has some toxicity in it.

21 MR. DAVE HARPLEY: Dave Harpley.

22 MR. PETER REDVERS: Is that a little
23 clearer?

24 MR. DAVE HARPLEY: Yeah. I believe this
25 was the subject of a particular IR. So it's explained in

1 that IR response. But essentially -- essentially we
2 don't expect the paste itself to generate much, if any,
3 seepage, bleed water they call it, because the -- the
4 water content is fairly low in the first place. And then
5 it's like a concrete. As you know, concrete loves to
6 absorb water as it's curing. And the -- the backfill
7 will be much the same. So we really don't expect a lot
8 of water generated from the backfill.

9 As far as leaching of the backfill from
10 groundwater, studies indicate at this point that contact
11 with groundwater is not expected to be significant at
12 all, because you'll have a draw down situation occurring
13 with depression. And the water also flows preferentially
14 within the fracture zone rather than through the -- the
15 vein area.

16 However, if we supposedly do get
17 significant bleed and there is leaching, and we do get
18 other metals than we're expecting in normal mine water,
19 then we could look at approaches such as a separate
20 collection of that bleed water, and treating it
21 essentially as mill water. Then it would go through a
22 different part of the circuit in the treatment plant.

23 UNIDENTIFIED SPEAKER: Mr. Redvers, do
24 you have any other questions?

25 Alan Taylor from Can Zinc is indicating he

1 has something.

2 MR. ALAN TAYLOR: Yeah, just for the
3 benefits of whoever's on the phone and those in the room
4 who don't know, two (2) of our consultants have joined us
5 for this session: Christoph Wels with Robertson
6 GeoConsulting, he's done a lot of our groundwater
7 studies; and Shannon Shaw with Phase Geochemistry, she's
8 done a lot of the geo -- geochem characterization for the
9 site. So if you have any questions for them, they would
10 be more than willing to entertain those.

11 MR. ALAN EHRLICH: Thanks. Welcome,
12 Christoph and Shannon. I'm Alan Ehrlich, I'm with the
13 Review Board. I'm -- Chuck is leading this Environmental
14 Assessment, but I'm helping out a bit with the sessions
15 here today.

16 Can I ask who we've got on the telephone?
17 I -- I hear a voice say someone has entered the call, but
18 I -- I didn't catch the name. Anyone out there on the
19 telephone?

20 MS. ANNE WILSON: It's Anne Wilson of
21 Environment Canada here on the phone.

22 MR. ALAN EHRLICH: Welcome back, Anne.
23 Can you hear what's going on in here okay?

24 MS. ANNE WILSON: Pretty much right now,
25 thanks.

1 MR. ALAN EHRLICH: Please feel free to
2 indicate when you're having a hard time hearing it.
3 Anne, one (1) of your colleagues from Environment Canada,
4 a gentleman whose name eludes me, in the back row there,
5 has a comment. And can you please start with your --

6 MS. ANNE WILSON: Devin?

7 MR. ALAN EHRLICH: -- name and
8 organization for the benefit of the people who are doing
9 transcription later. Thank you.

10

11 (BRIEF PAUSE)

12

13 MR. DEVIN PENNY: Devin Penny with
14 Environment Canada, IN. Just to reiterate, and forgive
15 me if maybe it's not clear to me, but I just wanted to
16 ask Canadian Zinc, with regards to -- talking about the
17 di -- diffuser or the pipe, or effluent discharge, and I
18 just want to ask, are you aware of the -- the actual
19 compliance point under the Fisheries Act and the MMER is
20 actually at the end of pipe basically where you lose
21 control of the substance or the effluent?

22 I know you talked about dilution and you
23 talked about maybe downstream, but just curious if you're
24 -- understand the parameters under the MMER or the metal
25 mine effluent regulation, and the concentrations of those

1 chemicals in the effluent?

2 MR. DAVE HARPLEY: Dave Harpley, yes,
3 we're aware of that.

4 MR. ALAN EHRLICH: Any followup?

5 MR. DEVIN PENNY: No, my -- just my
6 concern was, I know, with regards to the water licence,
7 and -- and sometimes you can get into a compliance point,
8 but there's a different compliance point for -- usually
9 under the water licence versus the Fisheries Act, and I
10 just wanted to make sure that they're aware of the
11 Fisheries Act compliance point.

12 MR. ALAN EHRLICH: Thank you. And we've
13 got a question from Parks Canada over here.

14 MR. JAMIE VANGULCK: Jamie VanGulck,
15 technical consultant with Parks Canada. I have a few
16 questions about water balance on the site. And I'd first
17 like to start off with something that Anne brought up in
18 her response this morning from the developer.

19 It was said that toxicity testings are
20 going to need to be done on the process water after the
21 mine starts operation because that water is not available
22 now. Could you provide a little bit more information
23 about what sort of water balance has been considered to
24 see if you have storage room for that water, and the
25 duration of time it would take to actually complete the

1 test to get the toxicity results you need?

2 MR. DAVE HARPLEY: Dave Harpley. On the
3 screen there you can see the water balance, which is
4 based on mine water inflow of 50 litres a second. This
5 is the same balance that's in the appendix to the DAR.

6 UNIDENTIFIED SPEAKER: Okay. Can I just
7 -- hold on for one second. Can people in the room
8 clearly see what's on the screen? I'm seeing a no.
9 Anne, you can probably see this as well as many people in
10 the room. It's a spread -- a rather large spread sheet
11 with a lot of small digits. You may have to characterize
12 what's on that because I don't think people in the room
13 can see that for themselves.

14 MR. DAVE HARPLEY: Do people in the room
15 have access to the -- the DAR?

16 MS. ANNE WILSON: It's Anne Wilson. Can
17 you provide the DAR reference for me?

18 MR. DAVE HARPLEY: I think it's Appendix
19 9, if I'm not mistaken. Yeah, Appendix 9. Well, let me
20 try and explain this in simple terms without that using
21 this complicated spreadsheet.

22 The water storage pond is approximately --
23 has a base elevation of about 873 metres elevation and
24 the top elevation would be 880 metres. At this point in
25 time, our geotechnical consultant feels that we need to

1 maintain a minimum water level of 877 metres elevation.
2 This is because the water acts as a subsidiary buttress
3 for the north slope for stability purposes.

4 So this means that we have the interval
5 between eight seven seven (877) and eight eighty (880)
6 for operating fluctuation. And that range gives us a --
7 currently gives us a pump capacity of approximately
8 220,000 metre cubed. Yeah.

9 That water balance that you can't see
10 indicates that on a seasonal basis we would anticipate a
11 fluctuation in quantity in the pond up to a maximum of
12 approximately 90,000 cubic metres. That's because in the
13 wintertime we are storing more water than we're treating
14 because we're retaining the process water in the pond
15 rather than treating and discharge. So that's -- that's
16 the main fluctuation.

17 So you can compare the two twenty (220) to
18 the ninety thousand (90,000) and you can see that we can
19 manage that fluctuation well within that operating range.
20 In fact, we could have greater variation if -- if we
21 wished. So that gives you a sense for how much time we
22 have as far as the storage goes.

23 And if I go back to that previous picture
24 I had, on the top part of this table, can you see that
25 one? The -- what -- what you're looking at there is the

1 total treatment rate in litres a second as the top line,
2 and below that the treatment quantity in metres cubed per
3 month.

4 And so you can see mine water at maximum
5 inflow -- well, not maximum -- maximum expected inflow,
6 let's say it that way, best estimate, 50 litres a second
7 gives us a treatment flow of 41 litres a second, which
8 means approximately 110,000 metre cubed in January. So
9 there's about a month, two (2) months that it -- that
10 shows you that you've got about a two (2) month storage
11 even if we're at the minimum operating level in the pond
12 at eight seven seven (877).

13 Bear in mind, from startup, starting at
14 eight seven three (873), we've got considerably more than
15 that. We're -- we have in the pond approximately 450 to
16 500,000 metre cubed of storage. So you can see we've got
17 -- we could -- we could put mine water in the -- at the -
18 - the 50 litres a second into the water storage pond at
19 startup for five (5) months before we'd have to start
20 treating the discharge.

21 Now during startup we'll still be treating
22 mine water as we are now. So we will not be putting all
23 the mine water stream into the pond on startup. It will
24 be -- only be possibly a fraction of that, as soon as we
25 have the -- the treatment plant up and running.

1 So this really only becomes an issue when
2 we start looking at the treated process water flow and
3 that's fairly steadily through the high point of the --
4 the summer discharge season, 20 litres a second. So that
5 would mean, if we only put treated process water in the
6 pond we're looking at about a year of storage before we
7 have to start discharging. There's also a simple fix if
8 we run into a problem with treated process water and that
9 is just stop the process.

10 UNIDENTIFIED SPEAKER: Can I -- can I
11 just get a clarification of that, Mr. Harpley.

12 So you're saying if you no longer have the
13 capacity to add treated process -- there's no longer the
14 space in -- in what used to be the tailings pond --
15 what's it called now, the water storage pond?

16 In the water storage pond, if you no
17 longer have the space to add process water, you said you
18 have the option of start -- stopping the process. Is
19 that the same as committing to stop the process in the
20 event that your water storage pond is -- is -- doesn't
21 have the capacity to take the extra water?

22 MR. DAVE HARPLEY: Ultimately, I guess
23 so, yes. But, you know, we would expect obviously that
24 we've addressed the issues with acute toxicity and
25 testing and modifications of the treatment process to

1 resolve the issues long before we ever got to that sort
2 of consideration.

3 UNIDENTIFIED SPEAKER: And I agree, it
4 would be good if those issues were resolved, but it
5 doesn't sound like all the acute toxicity issues have
6 been resolved to date yet for the reasons you've
7 described this morning, is that true?

8 MR. DAVE HARPLEY: Yes. The limitations,
9 as I mentioned, are -- I don't know that I have to repeat
10 those again, but --

11 UNIDENTIFIED SPEAKER: No, fair enough.
12 And you also point out, if I understand it correctly,
13 that that year of capacity is for if it's only process
14 water.

15 If it's process water in combination with
16 mine water, how -- how long does the -- the capacity,
17 assuming that you are between 877 and 880 litres in the
18 storage pond?

19 MR. DAVE HARPLEY: Well, it depends how
20 much mine water you put into the pond at the same time.
21 But as I've indicated it -- it should not be anything
22 like the full flow of the mine water because we still
23 have the existing treatment system. And we will have
24 online the new mine water treatment system.

25 We know there's not a toxicity issue,

1 acute wise, with the -- the mine water, so we're able to
2 treat and discharge that. So there's no reason why we
3 couldn't use the majority of the storage in the pond for
4 the process water until such time as we have demonstrated
5 that it was acceptable.

6 UNIDENTIFIED SPEAKER: But I -- I
7 understand the part about, for -- for just the process
8 water how -- how much time you've got in terms of the
9 water balance for the combined process water/mine water,
10 assuming, I don't know, a reasonable yet cautious
11 estimate in terms of the amount of mine water, roughly
12 how long you're looking at.

13 MR. DAVE HARPLEY: Well, as I've
14 indicated, if we wished to, we -- we don't need to put
15 any mine water in the pond, in which case we're looking
16 at only process water at 20 litres a second which means
17 we're looking at about a -- a year's storage, I would
18 say.

19 UNIDENTIFIED SPEAKER: Okay. That helps,
20 thank you.

21 UNIDENTIFIED SPEAKER: Any other
22 questions from the parties on surface water, ground
23 water, water balance, water treatment, the Water
24 Management Plan, or the Water Discharge Strategy?

25 It's Jamie VanGulck from -- speaking for

1 Parks Canada.

2 MR. JAMIE VANGULCK: Thank you, Alan.

3 Just a follow-up question, actually, on the response.

4 How long will it take for you to get confirmation of the
5 toxicity test results?

6 MR. DAVE HARPLEY: I believe those result
7 -- those tests need about three (3) weeks to actually run
8 and get the analysis, so let's say approximately a month.

9 MR. JAMIE VANGULCK: Jamie VanGulck with
10 Parks Canada. Just a couple comments, I guess, to -- to
11 the Review Board. These options that were discussed with
12 regards to the water storage and the impacts on toxicity
13 to -- to my understanding have not been put in the DAR.
14 This is the first we heard of it during this technical
15 meeting. So there's some additional information that we
16 just received here that discusses operations of the mine
17 that has implications on the water quality management and
18 water site management.

19 And thanks very much for your response.
20 It's just that there is considerations that we weren't
21 aware of beforehand, so I just wanted to point that out.

22 I do have a few more questions with
23 regards to water site management. If you just give me a
24 second I'll pull that up.

25 MR. ALAN EHRLICH: When you're ready.

1 MR. JAMIE VANGULCK: My questions are
2 specifically related to Appendix J, where you provided
3 some water quality predictions for the mine water
4 released to Prairie Creek.

5 Just as a little preamble, the predictions
6 that you did provide in some cases show that the site
7 specific objectives that are proposed are exceeded. And
8 I see a caveat that's provided saying that there will be
9 a reliance on adjusting the discharge flow rate from the
10 mine in order to achieve the site specific objectives.

11 Is there an understanding of what flow
12 rate is needed for discharge in order to achieve --
13 achieve those site specific objectives?

14 MR. DAVE HARPLEY: Dave Harpley. The
15 predictions are based on flow rates that have been
16 measured in the basin over a sixteen (16) year period, so
17 we are fairly confident that those flows exist. And the
18 occasions where there are exceedances are mostly related
19 to low flow situations and that's why we developed the
20 Water Management Plan to be able to cut back treatment
21 during those periods.

22 MR. JAMIE VANGULCK: Jamie VanGulck with
23 Parks Canada. So the predictions here show exceedances
24 based on whatever your discharge flow rates are.

25 What discharge rate should be put into the

1 creek so that you don't have exceedances?

2 MR. DAVE HARPLEY: I'll refer you to the
3 other appendix which talks about the regulatory strategy
4 we've proposed. And that describes a mechanism whereby,
5 based on an assumed background concentration and real
6 time data on flows in the creek, we are able then to
7 compute the load that could be discharged to not exceed
8 the site specific criteria downstream.

9 Now that will obviously vary on a daily,
10 maybe even hourly basis and that's why we're planning for
11 continuous real time monitoring of flows, and at the same
12 time monitoring the treatment rate and treatment quality
13 so we're able to maintain the discharge below the load.
14 So, in other words, we're -- we're only discharging so
15 that we don't get the exceedances. The -- the tables are
16 merely indicating what would happen if we didn't do that.

17 MR. JAMIE VANGULCK: Jamie VanGulck. A
18 follow-up question: Is there an understanding that there
19 is sufficient site water storage for all those cases?
20 For instance, you may reduce your discharge flow rate to
21 meet whatever loading rate you need to, to set and have
22 your effluent standards okay, but do you have enough room
23 to store all that water? Has there been a calculation
24 provided in the DAR or in the responses to demonstrate
25 that?

1 MR. DAVE HARPLEY: I'll refer you to that
2 complicated table that you couldn't see in Appendix 9 of
3 the DAR which shows you the -- the water balance and the
4 quantities of water produced on a monthly basis. And, as
5 I just explained, it was in the DAR addendum. There was
6 a graph of water storage pond capacity and that's where
7 the numbers of the -- the two, twenty thousand (220,000)
8 operating quantity metre-cubed between eight, seven,
9 seven, (877) and eight-eighty (880) comes from. And that
10 water balance indicates a fluctuation of ninety thousand
11 (90,000). So that's the basis for me to say, yes, we do
12 have the capacity.

13 UNIDENTIFIED SPEAKER: Mr. Harpley, I'm
14 going to jump in with a question. Do you have more,
15 Jamie? You mentioned that your -- your water balance is
16 -- is based on sixteen (16) years of information from the
17 site, right?

18 MR. DAVE HARPLEY: Correct.

19 UNIDENTIFIED SPEAKER: I'm just -- I'm
20 thinking back to that -- that's a relatively short period
21 of time by some mine design standards. I think about the
22 Faro Mine that was designed to a twenty (20) year flood
23 event and -- and had a serious emergency because of -- of
24 flood issues. I know that many mines are based on
25 hundred year flood events.

1 When I think about the aboriginal
2 knowledge of the area and the traditional knowledge, I
3 know that Can Zinc has certainly expressed its -- its
4 interest and willingness in exploring traditional
5 knowledge as a source of -- of baseline information.

6 Have you talked to the -- the First
7 Nations that use the area to try to get a sense of what
8 the hundred year flood event is, the frequency of
9 flooding in that valley? I -- I -- I just -- I ask
10 because now that you -- you mentioned that the former
11 tailings pond is now playing a slightly more active role
12 in this; it's -- it's pretty close to the river. I -- so
13 I guess my question is: Have you -- have you had the
14 opportunity to -- to talk with traditional knowledge
15 holders about the frequency of flooding and the hundred
16 year flood events in that area so that you could
17 incorporate that into mine design?

18 MR. DAVE HARPLEY: Dave Harpley. The
19 question we're discussing here with discharge has more to
20 do with average and low flows in the creek, not peak
21 flows, flood flows. So the sixteen (16) year local data
22 base is more applicable to a consideration of actual
23 flows we see normally in the creek.

24 When it comes to a flood situation, then
25 obviously we don't rely on local flows only. In fact, we

1 more readily are -- rely on regional stations with --
2 with a much longer data base, in the immediate catchment
3 and neighbouring catchments and in the -- in the whole
4 basin. So the data base for flood flows is considerably
5 greater than the sixteen (16) year period.

6 And that's possibly more -- you know,
7 considering return periods for major floods, your
8 question was: Have we considered traditional knowledge?
9 The simple answer is: No, we haven't. But that's not to
10 say that it isn't relevant, if there was a record going
11 back longer than perhaps our lifetime in terms of the
12 magnitude of past flood events.

13 UNIDENTIFIED SPEAKER: And -- okay, I --
14 I thank you for that. So to -- to what -- to what period
15 flood event is your design based on?

16 MR. DAVE HARPLEY: We're talking water
17 quality and blending with normal flows at this point,
18 we're not talking floods here.

19 UNIDENTIFIED SPEAKER: Yeah. No, I'm
20 asking about flooding though. The question that I have
21 is: When you design this -- this system, in --
22 incorporating the new role of the -- the water -- water
23 storage pond, to -- to what -- what frequency flood event
24 is it -- is it designed to?

25 MR. DAVE HARPLEY: It was designed to the

1 M -- well, I think they call it the MPF of the time,
2 Maximum Probable Flood. And this is an issue that we're
3 probably going to get into on Friday when we consider
4 floods and the pond structure.

5 UNIDENTIFIED SPEAKER: Okay. Yeah, we're
6 -- we're comfortable with sort of shelving that subject
7 until Friday. I mean, as you've pointed out, a number of
8 these issues overlap. And the -- the water quality, the
9 water balance, and precipitation and -- and flooding in -
10 - in my mind aren't quite separate, but then again, I --
11 I don't have a profound understanding of -- of the system
12 as my colleague here does.

13 Any other questions? Jamie, you have
14 another question from Parks Canada.

15 MR. JAMIE VANGULCK: Thank you. Just one
16 last follow up on this -- this line of questioning.
17 Could you please reference to me where in the documents
18 that you've submitted that show what your mean monthly
19 discharge rates will be into the Prairie Creek such that
20 your water quality objectives are achieved?

21 MR. DAVE HARPLEY: Dave Harpley. I'm not
22 sure there is anything -- that mean monthly actually
23 exists because it's varied, depending on the conditions
24 at the time. And it also depends on how much mine water
25 we get. That's why we've developed the flexible water

1 management system. We basically have set it up to treat
2 and discharge mine water as it arrives. We have the
3 opportunity to seasonally adjust treated discharge, but
4 that's mainly for processed water. So there -- there
5 really -- it's more sophisticated than that. I think
6 it's too simplistic to say that there's one (1) single
7 number.

8 MR. JAMIE VANGULCK: Jamie VanGulck with
9 Parks Canada. I appreciate that. And there's a bunch of
10 scenarios based on what expected mine flows you might get
11 and discharge water quality you might actually have. But
12 in order to understand the -- whether or not operations
13 that are proposed are achievable, I think that it would
14 be useful to understand the expected amount of flow
15 that's being discharged into Prairie Creek under a
16 variety of scenarios and then compare that to conditions
17 such as whether or not your mine site components can
18 treat it and what they need to be designed to, such as
19 the treatment plant, and then also carried over to the
20 dilution modelling that is a different topic of
21 discussion.

22 So I'd just like to -- to highlight that
23 there's not a clear understanding from my perspective as
24 to what exactly the discharge flow rates will be for
25 different possible conditions at the mine site and how

1 that interacts with the water storage, water quality
2 predictions.

3 MR. DAVE HARPLEY: Dave Harpley. I don't
4 believe I can walk you through, or should try and walk
5 you through the -- the whole content of the material in
6 this exercise, it's -- it's fairly involved. I can only
7 point you to the water balance and the derivation of the
8 various numbers and the water management strategy.

9 What I can add, though, is that the water
10 treatment plant has the capacity to treat, currently,
11 with the current design, up to 100 litres a second, even
12 though our best guess at this point is that we're going
13 to get an average of 50 litres a second.

14 In addition to that, the plant is
15 expandable. It can be expanded up to approximately 200
16 litres a second of mine water flow. So we feel that
17 we're ready to -- to address and manage whatever nature
18 throws at us in the mine.

19 UNIDENTIFIED SPEAKER: Any more questions
20 from Parks Canada on this subject? If you do have more
21 you're welcome to -- to -- okay, go ahead, please.

22 MR. JAMIE VANGULCK: Jamie VanGulck,
23 Parks Canada. Your in-stream concentrations for
24 predicted values related to ammonia and nitrate --
25 nitrate, phosphorus, sulfate, at different conditions

1 sometimes exceed your water quality objectives. I don't
2 see in the DAR any treatment for those specific
3 parameters in your Water Treatment Plan.

4 Could you address how to -- how -- how
5 those parameters, I guess, will be reduced in
6 concentrations. Is it strictly going to be relying on
7 dilution in Prairie Creek?

8 MR. DAVE HARPLEY: Dave Harpley. Those
9 parameters weren't described in the DAR because they
10 weren't perceived to be an issue in the DAR. We
11 subsequently were asked to develop site specific
12 guidelines for an additional number of parameters.
13 Frankly, we didn't see the need for most of them, but,
14 nevertheless, we went ahead and did that to satisfy the
15 request.

16 The simple answer is: No, we're not
17 proposing treatment for those list of parameters. We are
18 planning to manage them, firstly, by source control,
19 obviously, to -- to minimize the discharge, and then,
20 secondly, with our water management discharge strategy,
21 and that's the basis for the numbers that are in the IR
22 responses and appendices.

23 MR. JAMIE VANGULCK: Jamie VanGulck,
24 Parks Canada. I just wanted to point out that that's
25 also new information that has not been provided before

1 this time, in terms of understanding the management of
2 those types of parameters onto the receiving environment.

3 MR. DAVE HARPLEY: Dave Harpley. I don't
4 believe it is new information. It's information that was
5 contained in the IR response. There was no specific
6 question in -- in the IRs as to whether we were treating
7 for those parameters, so obviously there was no answer to
8 say whether we were or were not. So I don't believe it
9 is a deficiency.

10 UNIDENTIFIED SPEAKER: I think Can Zinc
11 has been pretty clear in its response to your question.
12 Do you have any other questions? Okay. I -- I'm going
13 to -- to hand it over to -- or ask my colleague back
14 there to hand it over to a consultant working on behalf
15 of INAC.

16 MS. ROCHELLE DRUMM: Hi. Rochelle Drumm
17 from WESA, working for INAC. My concern or question has
18 to do with the predictions for mine in-flows. I have
19 several questions.

20 The first one has to do with, in the
21 reports that Robertson GeoConsultants produced you
22 mentioned that if the vein fault, which is highly
23 conductive, extended further north and also extended
24 further south into the Prairie Creek valley, that there
25 would be significantly more mine in-flow. The predictions

1 that were made didn't include that fault extending
2 further north or further south. So my question is: Was
3 it considered? And if so, what would be the additional
4 mine flows that would occur as a result of this?

5 MR. CHRISTOPH WELS: Christoph Wels from
6 Robertson Geo -- Christoph Wels from Robertson
7 GeoConsultants.

8 We -- we did consider it, at least
9 conceptually, whether in particular as an extension to
10 the south. We did not model the scenario. I remember --
11 let's first talk about the northern section. We -- we
12 found one (1) exploration hole that intersected the MQV
13 (phonetic) to the north of the mine and the ground water
14 level there does not indicate a very depressed
15 watertable, which you would expect if it's connected to
16 the mine. So I don't believe that the fault extends to
17 the north because of this piece of information. So,
18 therefore, we did not include it in the groundwater
19 model.

20 To the south, we -- we don't have direct
21 information whether it does or does not extend into
22 Prairie Creek. I don't think it would make a big
23 difference in the flows if -- because we're talking not
24 about the groundwater conc -- concentrating into the
25 fault but we're talking about where this groundwater

1 discharges. So I don't think it would make a big
2 difference whether it discharges -- like we have assumed
3 now, that it discharges into Harrison Creek or it extends
4 a little bit further and then discharges into Prairie
5 Creek. It's just the point of discharge would change,
6 but not the entire flow through the fault.

7 So in response to your question, I -- I --
8 we thought about it conceptually, and I do not believe
9 that this -- that this fault extends as a hydraulically
10 active and highly permeable zone further to the north.

11 And it may extend into Prairie Creek. We
12 -- we don't have information one (1) way or the other
13 whether it does or it does not. But I don't believe it
14 would significantly change the flow rates discharging.
15 It would only change the location of the groundwater
16 discharge.

17 MS. ROCHELLE DRUMM: Rochelle Drumm,
18 WESA. That's -- when the mine is being dewatered, you
19 had mentioned in your report that the cone of depression
20 would extend as far as the Prairie Creek valley. So
21 wouldn't it possibly be drawing water through possibly
22 Prairie Creek, through the Prairie Creek alluvium aquifer
23 down into this main quartz vein fault if it extends that
24 far, and then towards the open mine workings?

25 MR. CHRISTOPH WELS: That -- that's

1 correct in -- in a sense. But the question is: Would it
2 actually -- would it actually increase the total flow?
3 The way the model is set up, we actually put a very
4 conservative assumption on the model and that is assuming
5 that the area where the fault crops out or intercepts the
6 Harrison Creek area, that there is an infinite supply of
7 water via the creek that will provide water into the
8 mine.

9 So we already have a very conservative
10 assumption in -- in terms of there's an infinite supply
11 of water which we later realized there's actually too
12 much water even assumed in the model. So if we extend
13 the fault out further into Prairie Creek, we already have
14 a very large amount of water available to rush into the
15 mine.

16 I'm -- I would have to assimilate it
17 exactly to see what -- how much of a difference it makes
18 if we were to extend that fault into Prairie Creek. And
19 I could see that there's some increase in -- in flow.
20 This is entirely through the period of active mining, not
21 post closure, obviously.

22 So during active mining I think there's a
23 possibility that there's some increase in flow, and we
24 would have to test that scenario. But I doubt that it
25 makes a very big difference, because of this very

1 conservative assumption that the fault is already
2 receiving infinite supply of water along the Harrison
3 Creek area.

4 MS. ROCHELLE DRUMM: Rochelle Drumm,
5 WESA. In your assessment of the maximum upper limit of
6 200 litres per second in your steady state flow, you'd
7 mentioned that there wasn't an infinite amount of water
8 to recharge that quantity in the Harrison Creek and
9 Harrison Creek aquifer.

10 So is that contrary to what you've just
11 said?

12 MR. CHRISTOPH WELS: No, it's not -- it's
13 not contrary. The -- the -- there's a model simulation
14 and then there's the reality. The model simulation
15 assumed that Harrison Creek has an infinite amount of
16 water available to supply into the vein and then into the
17 mine. And that is at 200 litres a second.

18 If you look at the stream flow from
19 Harrison Creek, the highest flow -- this 200 litres a
20 second, or it's actually 180 litres a second that would
21 come from Harrison Creek, can only be supplied by that
22 creek for, I think, one (1) month if we believe our
23 scaling of stream flows from Prairie Creek onto Harrison
24 Creek. So there's a very short period of time when that
25 kind of flow could actually be sustained.

1 Now following up on your question, if you
2 -- if the -- the MQVs are highly permeable, if it -- it
3 may be highly permeable in this area, extend all the way
4 into Prairie Creek, there'll be a larger supply of water
5 in those 180 litres a second, or 200 litres a second,
6 could potentially be supplied for a longer period of
7 time. This is the scenario that we -- we did not
8 simulate.

9 We -- we don't have a clear evidence of
10 this MQV extending to Prairie Creek. We have evidence of
11 it, obviously being present along the mineralization in
12 the immediate vicinity of the mine. We have also found
13 it and intersected it in bore holes along Harrison Creek.
14 But right now it's -- it's not clear whether this fault,
15 or this MQV area -- linear structural element extends
16 into Prairie Creek and is hydraulically active in the
17 same permeability. So it is a little bit of a -- we can
18 simulate this and put a highly permeable fracture into
19 Prairie Creek valley, but it's a bit hypothetical,
20 because there's no clear testing that supports that there
21 is a hydraulically active fault extending that far from
22 the mine all the way to Prairie Creek.

23 MS. ROCHELLE DRUMM: Rochelle from WESA,
24 Rochelle Drumm. Yes, well, there -- right now there
25 isn't any proof hydraulically, but once there's deeper

1 mining that occurs, and your cone of depression will have
2 to widen to support the recharge into the mine, then that
3 may occur.

4 And given the fact that mine inflows are
5 one (1) parameter that is used throughout to design your
6 water balance, to predict your stream effluent and how
7 much you're going to have to dilute it, and then your
8 post closure stream concentrations, is it not an
9 important thing to possibly model and/or to investigate
10 further through geophysics or -- or exploration drilling
11 to find out about that highly conductive fault?

12

13 (BRIEF PAUSE)

14

15 MR. CHRISTOPH WELS: I'm going to pass it
16 to Alan.

17 MR. ALAN TAYLOR: Yeah, it's Alan Taylor
18 here. We've been exploration drilling in that -- in that
19 area for many years and we don't have a lot of holes in
20 there, in that particular area that you refer to.
21 However, we do have a few. And what they've indicated --
22 what we've been looking for is exactly what you are
23 referring to, is a vein type target, and we have not been
24 successful at locating one. And those bore holes go
25 underneath Prairie Creek.

1 MS. ROCHELLE DRUMM: Thanks. Rochelle
2 Drumm, WESA. I have one (1) more question with respect
3 to the prediction of mine enclose. For the steady state
4 upper limit, 205 litres per second, that was predicted,
5 and then consequently reduced to 100 litres per second
6 with the rationale that there wasn't sufficient recharge
7 from the Harrison Creek aquifer or Harrison Creek.

8 There was no indication how that was
9 reduced to 100 litres per second, at least in the
10 documentation that I received. Are you able to explain
11 how you came to 100 litres per second?

12 MR. CHRISTOPH WELS: Okay. Well, at the
13 time of the DAR, when we submitted a steady state
14 simulation, we had not done the transient simulations.
15 They were actually in progress at the time. So we
16 submitted the high and the low flow steady state
17 estimate.

18 It -- it -- after we had submitted the
19 DAR, we completed this transient modelling. And -- and I
20 will not say that this a fully calibrated model, because
21 we could not calibrate against water levels because we
22 didn't have seasonal water levels.

23 However, we have -- we had outflows from
24 the mine, which intersects the MQV, which is what we're
25 really mainly interested here. So we have a very good

1 idea about the flow coming out of the cut into the MQV.
2 And we used that as our calibration target for the
3 transient model.

4 So using this, and -- and using the
5 permeability of that high flow estimate, which is -- if
6 you remember, the permeability was assumed to be one (1)
7 times ten (10) to the minus four (4). If we assumed
8 that, we would get flows out of the tunnel in a -- in a -
9 - in a transient simulation would be way too high
10 compared to what we see today.

11 So we had to reduce the permeability to
12 about five (5) times ten (10) to the minus five (5),
13 which is happen to be the average of the high flow and
14 the low flow steady state simulations. Using this
15 parameter for the MQV, we more or less matched the
16 outflow over the entire year, seasonal outflows from the
17 tunnel.

18 In fact, we're still a little bit on the
19 high end, but we -- we left it at that for this initial
20 calibration, or very early calibration of a transient
21 model. So I would really suggest that we use -- and I --
22 I certainly as a professional judgment would prefer to
23 use the transient model results to -- when we're talking
24 about mine inflows to the mine and also post-closure
25 flows from the mine towards Prairie Creek, I find those

1 results more reliable than the initial steady state
2 simulation, which are -- you know, steady state is
3 certainly a -- a strong simplification of the -- of the
4 situation.

5 So I -- I don't really want to use the two
6 hundred (200) anymore. I would like to talk sp -- to
7 talk of the range of seasonal flows that we observed,
8 that we simulated, which is, I believe, from about, I
9 think, 30 to 90 litres a second, which includes that --
10 that 100 litres a second as a maximum. Do -- do you
11 understand me?

12 MS. ROCHELLE DRUMM: Rochelle --

13 MR. CHRISTOPH WELS: Use it as an upper
14 limit, I use it as the most realistic scenario for -- for
15 seasonal flows. We're talking about an upper limit for
16 seasonal flow, or are we talking about an upper limit for
17 a mean annual flow?

18 MS. ROCHELLE DRUMM: Rochelle Drumm. An
19 upper limit for a mean annual flow that the 100 litres
20 per second, which was then used in the calculations for
21 predictions of parameters of concern in -- in the stream?

22 MR. CHRISTOPH WELS: Well, if we -- if we
23 scale the transient results, which give you an average of
24 fifty-six (56) mean -- annual average of 56 litres a
25 second, if we use 100 litres a second that's twice of the

1 results from a calibrated model against steam discharges
2 from the -- from the tunnel.

3 I think that's a reasonable upper limit
4 for our flow calculations, using two (2) times my best
5 estimate of mean annual flows. Yes.

6 MS. ROCHELLE DRUMM: No further questions
7 with respect to that. I'd like to see the calculations
8 if you're able to send through more information about it
9 so we can review it more. That would be really helpful.

10 MR. CHRISTOPH WELS: Christoph Wels. If
11 you could please specify which calculations you would
12 like to see.

13 MS. ROCHELLE DRUMM: Rochelle Drumm.
14 Just a summary of how you got the 100 litres per second
15 as your upper limit.

16
17 (BRIEF PAUSE)

18
19 UNIDENTIFIED SPEAKER: It's -- Christoph,
20 are you able to provide that? It doesn't have to be now,
21 but sometime over the next couple days to INAC?

22 MR. CHRISTOPH WELS: Yeah, no problem.

23

24 --- UNDERTAKING NO. 1: Robertson GeoConsultants to
25 provide a summary of the

1 calculations of how they got
2 the 100 litres per second as
3 the upper limit

4
5 UNIDENTIFIED SPEAKER: Thank you.
6 Another question from INAC from Nathen Ritchie (phonetic)
7 -- Nathan Richea.

8 MR. NATHEN RICHEA: Hi, it's Nathen
9 Richea with INAC Water Resources. I just wanted to
10 follow up with some of the conversation that was back and
11 forth, and I'm not an expert, so I'm just trying to -- to
12 grasp kind of what the discussion was about.

13 And basically what I'm trying to
14 understand is if the potential exists for the vein to
15 occur and have connectivity to the Prairie Creek aquifer,
16 or Prairie Creek itself, but there is no demonstratable
17 evidence to support whether there is or isn't. As
18 someone who is responsible to conduct an assessment of
19 the project, we need to be careful that we understand the
20 conditions that may exist as part of the operation.

21 And if that potential is existing, or it
22 could exist, then that has to be factored in as a
23 potential for worst case scenario. And I believe that it
24 could have implications for water management on the site.
25 So I just wanted to caution that. It's more of a

1 comment. It's not really a question.

2 I think the only way to understand whether
3 there is conductivity or not is to do further work. And
4 I -- we can't rely on the mining operations to determine
5 whether there's conductivity or not, because the water
6 storage pond and the water balance and all that will be
7 approved based on sort of what we see in the developer's
8 assessment or -- or any additional work that may come as
9 part of this process.

10 But if that tends not to be the case
11 during operations, we -- we'll find ourselves in a very
12 difficult situation. So we -- we kind of need that
13 information as part of the assessment, whether there is
14 or isn't conductivity. And if there's evidence that
15 exists to support that potentially there is conductivity,
16 then we'll need to know for sure, or at least the worst
17 case scenario if there was, what we might see.

18 UNIDENTIFIED SPEAKER: Thanks for the
19 comment, Nathen. Are there any other comments from --
20 there's a response from Canadian Zinc?

21 MR. ALAN TAYLOR: Yes, it's Alan Taylor.
22 I just want to reiterate that there is evidence of the
23 non-existence of this MQV aquifer, and that's through our
24 exploration diamond drill core holes.

25 MR. NATHEN RICHEA: Nathen Richea, INAC

1 Water Resources. I believe I heard you say that you
2 tried to find it, but you -- in your attempts you
3 couldn't find it. It's not to say it's not existent.

4 MR. ALAN TAYLOR: It's Alan Taylor. We
5 crossed the prime target stratigraphy and we're confident
6 that it's not there.

7 MR. NATHEN RICHA: Nathen Richea, INAC
8 Water Resources. I stress my comment again. If -- if
9 you can't find it through some preliminary assessment, it
10 doesn't mean that it doesn't exist. We need it, an
11 assessment of the worst case scenario. Even if it does
12 come in or it doesn't come in, there needs to be some
13 kind of confidence in -- of the assessment that's before
14 us. There is some evidence in the documents that
15 suggests that there may be conductivity. You know, a
16 number of sample, you know, targeted bore holes to try to
17 find it coming un -- coming up unsuccessful doesn't mean
18 that it exists or doesn't exist.

19 MR. ALAN EHRLICH: It's Alan from the
20 Review Board. I'm -- just to remind parties that the
21 Review Board always encourages parties to describe, when
22 providing their impact predictions to the Review Board,
23 not just the breadth, magnitude, duration, but also the
24 likelihood of the impact occurring and the uncertainties
25 that are implicit in the prediction to help the Board

1 take an appropriate approach to its duties.

2 Mr. Taylor, I believe you had a response
3 to this last comment from INAC.

4 MR. ALAN TAYLOR: Yes, It's Alan Taylor.
5 I still take an issue that you're saying that it's
6 preliminary data. It's hard data and it's been -- this
7 exploration has been carried out for thirty (30) years
8 and the prime target has been this vein bearing
9 structure. And that accumulated amount of data we have I
10 think is sufficient to say with confidence that it is not
11 there.

12 MR. NATHEN RICHEA: Nathen Richea, INAC
13 Water Resources. I believe I heard your consultant say
14 that there was a potential for that vein to exist. It
15 doesn't -- I'm not saying that it does exist or it
16 doesn't exist and I'm not questioning your attempt to try
17 to find it. I'm just saying, if -- if the potential is
18 for that conductivity to be there we need to know that as
19 part of the assessment.

20 In the absence of knowing, through
21 whatever undertakings have been conducted to know exactly
22 whether it's there or not, the only recourse we'd have
23 would be to model, assuming that there is connection, and
24 then provide sort of a probability of whether that is
25 actually going to occur or not.

1 MR. ALAN EHRLICH: Thank you. Any -- any
2 other comments on that from Canadian Zinc? Okay.

3 Another question from -- is it a question
4 or a comment from -- from INAC?

5 MS. ROCHELLE DRUMM: Rochelle Drumm,
6 WESA. The -- the reason we thought that the Prairie
7 Creek -- or the main quartz vein fault possibly extends
8 into the Prairie Creek valley is that it was mentioned in
9 the DAR Appendix 1-A, page 35, that:

10 "Early exploration drilling suggests
11 that the vein fault may intersect
12 Prairie Creek."

13 This was written in -- in your doc -- a
14 document, so that's what all this is drawn on.

15 MR. ALAN TAYLOR: Yes. It's Alan Taylor
16 here. It's un -- it's unfortunate. It's -- it's a
17 geological understanding of the area that is somewhat
18 complex when we talk about veins. It -- it's not
19 necessarily a continuous single vein, there's a lot of
20 veins down the entire 16 kilometres of -- of the
21 stratigraphy there. So they're not necessarily
22 connected, but they're very similar looking.

23 MR. ALAN EHRLICH: Paul Green with INAC
24 Water Resources, please go ahead.

25 MR. PAUL GREEN: Yes. Paul Green with

1 INAC Water Resources. Just going back to the water
2 balance, the information that -- that you've provided is
3 based upon a 50 litres per second mine discharge.
4 Robertson GeoConsultants has provided an update of 56
5 litres a second which basically means that the balance as
6 presented isn't going to work, you're going to have a lot
7 more water building up over the course of a year.

8 And so I'm just wondering, like, what --
9 what are the contingencies for that event, you know, if
10 you do get this 56 litres a second, and how that's going
11 to impact the overall water management strategy for the
12 site?

13 MR. DAVE HARPLEY: Dave Harpley. I think
14 you really need to understand the water management scheme
15 and how the water storage pond operates. The 50 litres a
16 second was an assumed number for the water balance of the
17 pond for, one can say, illustrative purposes.

18 However, the Water Management Plan is
19 based on treating and discharging mine water essentially
20 as it arises. If it's thirty (30) we treat twenty (20)
21 because ten (10) is lost elsewhere; if it's a hundred
22 (100), we treat ninety (90) because ten (10) is lost
23 elsewhere. The mine inflow rate does not affect how the
24 water storage pond operates in terms of treatment of
25 discharge.

1 (BRIEF PAUSE)

2

3 MR. PAUL GREEN: Yeah, it's Paul Green.
4 If you want to move on to other questions we'll maybe
5 come back to this in a few minutes. We have to discuss
6 this.

7 MR. ALAN EHRLICH: Yeah, that will be
8 fine. Thanks, Paul. I see either a stretch or a
9 question from DFO. Lorraine's back there.

10

11 (BRIEF PAUSE)

12

13 MS. LORRAINE SAWDON: Lorraine Sawdon,
14 Fisheries and Oceans. I've got a couple of questions
15 about the -- the effluent discharge, and I guess my first
16 one is having to do with nutrient enrichment.

17 In the DAR it was identified that nutrient
18 enrichment has been seen downstream. And we asked where
19 it had been seen downstream and we were provided with a
20 map of sampling sites, both upstream and downstream from
21 the mine site.

22 And I'm just -- could Canadian Zinc
23 clarify where, or to the extent downstream that this
24 nutrient enrichment has been observed?

25 MR. ALAN EHRLICH: Can Zinc, I -- would

1 you like to respond to that?

2

3 (BRIEF PAUSE)

4

5 MR. DAVE HARPLEY: Dave Harpley. I
6 believe the mild nutrient enrichment that was noted in
7 the Saskatchewan INAC park study was at the high exposure
8 site downstream, and there it is on the figure and that's
9 in the -- what's it in? I think that's in the IR
10 response.

11 MS. LORRAINE SAWDON: Lorraine Sawdon,
12 Fisheries and Oceans. The map was certainly in the IR
13 response. I'm not sure that it was clear which of the
14 sites identified on the map the effects of nutrient
15 enrichment were observed. So I guess, follow-up
16 questions: Are you aware of those nutrient enrichment
17 observations being made farther down such -- at, like,
18 the low exposure site, for example?

19 MR. DAVE HARPLEY: I'll have to check,
20 I'm not -- off the top of my head I couldn't -- couldn't
21 tell you. I'm just going by the reference that was in
22 the document.

23 MS. LORRAINE SAWDON: So we could agree
24 that you'll provide me with that information?

25 MR. DAVE HARPLEY: Yes.

1 MS. LORRAINE SAWDON: Thank you.

2

3 --- UNDERTAKING NO. 2: Canadian Zinc to advise if
4 they are aware of nutrient
5 enrichment observations being
6 made farther downstream

7

8 MS. LORRAINE SAWDON: My next question
9 then is: Once the mine starts to operate and there's
10 people on site, what are the predictions for how far
11 downstream nutrient enrichment will be seen?

12 MR. DAVE HARPLEY: We've predicted the
13 concentrations of the N species and the phosphorus in the
14 -- in the IR response. The results of this plume
15 modelling should give us an indication what sort of
16 distance we're talking about for some parameters. As far
17 as mixing goes I think that will give us an indication
18 for all parameters, not -- I don't think at this work
19 we've done -- done right now has covered every single
20 one, but I think it will be an indication, at least for
21 all.

22 I think you also have to be careful how
23 you view the existing data because that nutrient
24 enrichment, nobody knows what the source of that is at
25 this point. We don't know if it's natural, we don't know

1 if it's historical related to the mine. If it is the
2 latter, it could be related to sewage discharge with
3 phosphate based detergents. Who knows what the source
4 is. So I wouldn't necessarily draw a direct comparison
5 between nutrient enrichment already there for more
6 nutrient enrichment during operations.

7 MS. LORRAINE SAWDON: Lorraine, DFO. I -
8 - I understand that. Thank you. We're looking at this
9 from specifically impacts to fish and fish habitat.
10 Having predictions to base what the impacts could be are
11 -- are necessary for us to make recommendations to the
12 Board.

13 And so actually what you were speaking to
14 leads into my next question, and that was: How -- how
15 did Canadian Zinc come up with the nitrogen and the
16 phosphorus content that will be included in the effluent?

17 MR. DAVE HARPLEY: Dave Harpley. The
18 numbers for the -- the phosphate came out of the
19 treatment testing. That's in the SGSME (phonetic)
20 report, which I believe is Annex J-2, in Appendix J of
21 the IR response.

22 In fact, I think those numbers are
23 conservative because, as noted in that text, the mine
24 water phosphorus in the treated water seems to be an
25 analytical artifact because there was no phosphorus, or

1 least it was non-detect in the raw water stream, and I
2 certainly don't think we generate phosphorus just by
3 adding lime. So that's where the phosphorus numbers come
4 from.

5 The -- the N species numbers was a little
6 more complex in terms of derivation, it is explained in
7 that appendix. It's largely based on some modelling that
8 Golder Associates did for Snap Lake. And we've kind of
9 extrapolated from that. That in itself was something of
10 a challenge because the -- the model was based on Snap's
11 intended use of three-quarters (3/4) emulsion, one-
12 quarter (1/4) ANFO so it may be that the -- that the
13 numbers predicted were skewed because of the ANFO use,
14 whereas we're proposing to use 100 percent emulsion.

15 MS. LORRAINE SAWDON: Lorraine Sawdon,
16 Fisheries. Are you or is Canadian Zinc going to be doing
17 an assessment or a quantitative estimate of nitrogen from
18 their emulsion use or, I guess, when is Canadian Zinc
19 planning to look at that portion?

20 MR. DAVE HARPLEY: Dave Harpley. I guess
21 we feel now we've looked at it and that's in the IR
22 response. The next step we believe is considering the
23 predicted impacts.

24 And you also have to bear in mind that we
25 feel that those estimates are fairly conservative. The

1 Golder modelling that I spoke about, they assumed an
2 explosive waste rate of 5 percent in their model, which
3 we understand from the emulsion contractor that we've
4 been talking to is -- is quite high. He suggests that a
5 typical waste rate is more like 1 or 2 percent. So
6 that's a pretty hefty conservative estimate there in the
7 numbers.

8 I would suggest that if we're going to
9 look at the predicted numbers and imply that the impacts
10 are unacceptable or too great, then the next step would
11 be to look at explosives management because that seems to
12 have the primary control generation of nitrogen.

13 MS. ANNE WILSON: David, it's Anne Wilson
14 with Environment Canada. Just to follow on the nutrients
15 question, if I may.

16 I couldn't find anywhere the predictions
17 for the sewage contributions. And given a cap of two (2)
18 to several hundred people that won't be insignificant
19 necessarily. Can you point me to that somewhere?

20 MR. DAVE HARPLEY: Anne, we -- we don't
21 have an effluent concentration from the sewage plant
22 because it's never operated. I guess we could look at
23 typical sewage plants and see what type of effluent they
24 get. But what we've indicated in the information is that
25 we find it hard to believe that sewage stream is going to

1 be a significant source of anything because it's such a
2 small flow compared to the flows that we're going to be
3 managing.

4 By way of comparison, if you look at the
5 total inflows expected to the water storage pond, the
6 effluent from the sewage treatment plant would make up
7 less than 2 percent. So it would have to be a
8 substantial concentration of nutrient in that series to
9 make any effect on that -- that water.

10 MS. ANNE WILSON: It's Anne Wilson. In
11 these oligotrophic waters, we really are looking at
12 ospheros concentrations in, you know, the .004
13 micrograms per litre. It doesn't take much to bump that
14 up.

15 So, one of the frustrations I felt with
16 trying to assess the effluent quality is that there is
17 not an integrated characterization of it that gives me a
18 single column best estimate of all sources which are
19 going to be combined and be the end-of-pipe outflow for
20 the whole range of parameters.

21 Is that something that you could put
22 together for us.

23 MR. DAVE HARPLEY: Just say again what
24 you mean.

25 MS. ANNE WILSON: Sorry. Anne Wilson,

1 Environment Canada. The numbers that were given for
2 effluent quality are generally split into two (2) columns
3 reflecting the mill -- sorry, the process water
4 contributions and the mine water contributions.

5 It would really be helpful to me to have
6 an integrated number that includes the managed water plus
7 the site run-off, plus the sewage contribution and gives
8 an end-of-pipe characterization that includes more than
9 just the MMER parameters, and that would be including the
10 nutrients, the major ions, and the metals.

11 MR. DAVE HARPLEY: So, in other words,
12 you're looking for some correlation of our sewage
13 treatment plant with similar such plants and an estimate
14 of what kind of nutrient you would get out of it.

15 MS. ANNE WILSON: Anne Wilson. That
16 would be one (1) component of it, yes. And I think
17 that's very doable, to look at the loading per person and
18 the expected treatment that you can achieve, but it goes
19 beyond just having the number for the sewage. It's
20 having a prediction that includes all components
21 contributing to the effluent quality.

22 And I appreciate that you don't know for
23 sure what the ratio of mine water and process water would
24 be over the course of time. But if there's some estimate
25 that could be done that in -- puts everything into one

1 (1) column instead of several columns of different
2 quality, where we don't really know an overall average
3 for an annual effluent quality.

4 MR. DAVE HARPLEY: So, in effect, you
5 want an expanded table, which I believe was also part of
6 the IR response, that is a prediction of the end-of-pipe
7 concentration?

8 MS. ANNE WILSON: Anne Wilson. That was
9 Table PC-39, and when I saw that I got excited because I
10 thought, oh, this will have what we need. And then it
11 turned out it's got the two (2) columns and doesn't have
12 a single end-of-pipe number, and didn't have all the
13 parameters I'd be interested in nor the sewage
14 contributions and the run-offs. So --

15 MR. DAVE HARPLEY: Yeah.

16 MS. ANNE WILSON: -- I know I'm asking a
17 lot there but that would make it --

18 MR. DAVE HARPLEY: Okay.

19 MS. ANNE WILSON: -- much more helpful.
20 Even if it has to be done, if not on a monthly average,
21 then on an open water season average plus an ice-covered
22 season average.

23 MR. DAVE HARPLEY: Yeah.

24 MS. ANNE WILSON: That make sense?

25 MR. DAVE HARPLEY: Yeah. No, I

1 understand what you're looking for. I don't think that
2 would be too difficult.

3 MS. ANNE WILSON: Good.

4 MR. ALAN EHRLICH: I'm going to jump in
5 for a second just to get a clarification. By when do
6 you think you can provide that?

7 MR. DAVE HARPLEY: I don't know. We'll
8 have to get back to you. But I don't think it will take
9 us too long to do that.

10 MR. ALAN EHRLICH: The reason I'm asking
11 is we just need to make sure parties have the information
12 they need so that we can keep the EA going in a -- in a
13 timely manner. A week?

14 MR. DAVE HARPLEY: That's probably about
15 right.

16 MR. ALAN EHRLICH: Okay. And the same
17 question applies to the information that Lorraine from
18 DFO --

19 MR. DAVE HARPLEY: Oh, yeah.

20 MR. ALAN EHRLICH: -- asked for before
21 that. Yeah. Can you -- can you provide that within a
22 week?

23 MR. DAVE HARPLEY: Yeah, no problem.

24 MR. ALAN EHRLICH: Thanks. Sorry to
25 interject there, Anne. Please go on.

1 --- UNDERTAKING NO. 3: For CZN to have an integrated
2 number that includes the
3 managed water plus the site
4 run-off, plus the sewage
5 contribution and gives an
6 end-of-pipe characterization
7 that includes more than just
8 the MMER parameters, and that
9 would be including the
10 nutrients, the major ions,
11 and the metals in the tables
12 and to complete within one
13 week.

14

15 MS. ANNE WILSON: Yeah, it's Anne Wilson.
16 Did I -- I didn't really follow much of what was said
17 there. Is that David undertaking to do that in the near
18 future?

19 MR. DAVE HARPLEY: It was.

20 MR. ALAN EHRLICH: Within a week.

21 MS. ANNE WILSON: Anne Wilson. Okay.
22 That's excellent. I can turn it back to Lorraine, I kind
23 of hijacked her discussion of nutrients there, if she
24 wants to carry on with her train of thought. Sorry.

25 THE FACILITATOR: Lorraine...?

1 MS. LORRAINE SAWDON: Thank you.
2 Lorraine, DFO. I still have more questions. You
3 mentioned a bit earlier that you're going to have a look
4 at the impacts. And I'm curious: 1) when we can see
5 that, 2) if that will include what the potential impacts
6 may be from the discharge of TDS within the -- the
7 effluent, understanding that right now you don't have
8 concrete numbers for that.

9 And if the plume model that you're
10 expecting the results from will include both TDS and some
11 of these nutrients, and their quantities and
12 concentrations.

13 MR. DAVE HARPLEY: Dave Harpley. I think
14 this first stab at the plume model will be essentially
15 focussed on the main metals. I don't believe it will
16 consider anything else at this point.

17 I'm making some inquiries regarding
18 additional data on the -- the treated waters to try and
19 get more definition of -- on the TDS question. So I -- I
20 need to find out what the answer to that inquiry is
21 before I could suggest that we could do something more
22 sophisticated.

23 THE FACILITATOR: Lorraine...?

24 MS. LORRAINE SAWDON: Thank you. Still a
25 few more questions.

1 Turning to the -- the effluent pipe, a
2 couple of things. I guess the first one (1) would be
3 looking at the downstream impacts to fish and fish
4 habitat from the -- the plume and when that information
5 will be provided.

6 Also looking at what the potential impacts
7 to over-wintering habitat may be. Maybe I'll leave it
8 with that and then I'll -- I'll ask a few more questions.

9 THE FACILITATOR: Thanks. Anything else
10 from Canadian Zinc on that subject?

11 MR. DAVE HARPLEY: (NO AUDIBLE RESPONSE).

12 THE FACILITATOR: Okay. Are there any
13 other parties that would like to raise this? What we'll
14 be doing soon is taking a short break and then the rest
15 of the afternoon will still be focussed on surface water
16 and groundwater, water balance, water treatment, water
17 management plan, and the water discharge strategy.

18 So if -- does anyone else have questions
19 right now, because if not we'll take a fifteen (15)
20 minute break and start again at twenty (20) to three (3).

21 Okay. Let's break.

22

23 --- Upon recessing 2:25 p.m.

24 --- Upon resuming 2:40 p.m.

25

1 THE FACILITATOR: ... raising their hand
2 in the back. Go ahead.

3 MS. LORRAINE SAWDON: Thanks. Lorraine
4 Sawdon, DFO. Just going back to the last question before
5 the break. It's already been identified that there is a
6 mild enrichment being seen downstream. In order to
7 determine what potential impacts may be from an operating
8 mine where there may be a potential to increase this,
9 we're asking that Canadian Zinc provide us with -- with
10 at least an estimate, preferably modelled information,
11 that indicates what the predicted nutrient enrichment
12 will be, how far downstream, and what those impacts will
13 be.

14 And I guess my question to Canadian Zinc
15 is: Can we expect this from you?

16

17 (BRIEF PAUSE)

18

19 THE FACILITATOR: Thanks for the
20 question. Answer, please.

21 MR. DAVE HARPLEY: Dave Harpley. We'll
22 take a look at it. Give you an answer tomorrow.

23

24 --- UNDERTAKING NO. 4: Canadian Zinc provide with
25 an estimate, preferably

1 modelled information, that
2 indicates what the predicted
3 nutrient enrichment will be,
4 how far downstream, and what
5 those impacts will be. (To be
6 provided October 7th)
7

8 MS. LORRAINE SAWDON: Thank you.
9 Lorraine Sawdon, DFO. Yes. One (1) other question then
10 is with the plume model and with -- with the data that's
11 going to be presented with that, could that please
12 include TSS and TDS. Both of these may have a potential
13 to impact fish and fish habitat, and these will be things
14 that we will be looking at in order to make any kind of
15 determination and recommendations to the Board.

16 MR. DAVE HARPLEY: Dave Harpley. TDS
17 we're looking at in terms of additional data.

18 TSS, I am not convinced that we need to
19 consider a plume. I don't think TSS is an issue. I'm
20 going to, in a minute, ask Byrod to go through the
21 treatment use, and, in particular, sediment. As I
22 mentioned before, we've never had an issue of sediment
23 discharge from the site to -- to this point, and I don't
24 expect that's going to change during operations.

25 I don't see how we would credibly do a

1 model of sediment discharge when we don't expect any.
2 So, as I say, I'll -- I'll turn it over to Byrod in a
3 minute when you're done with questions.

4 MS. LORRAINE SAWDON: Lorraine Sawdon,
5 Fisheries and Oceans. I guess just as a heads up then,
6 under Schedule 4 of MMR, a TSS, and I believe it's TDS,
7 is required for reporting. So something for you to
8 consider.

9 MR. BYARD MACLEAN: Byard MacLean, SNC-
10 Lavalin. The water treatment process was developed with
11 SGS -- semi-SGS Vancouver in Vancouver who did the
12 treatment work. And at SNC-Lavalin we did the plant
13 design. There's basically two (2) components to the
14 treatment system.

15 The water treatment of the mine water is a
16 very simple raising the -- the mine water to above pH 9,
17 and then clarifying it, and that reduces the metal
18 contents down to the target levels.

19 The flexibility in the process is that if
20 you're running into some issues, you can raise the pH to
21 9.5, so that is how the project is -- has been designed.
22 And what we have designed in the original process is a
23 hundred litres per second treatment system with a standby
24 of another hundred litres per second.

25 And with reference to the drawing on the

1 wall, this system here is the initial lime treatment
2 system where the lime is added in a fixed in-stream mixer
3 and it's given the de -- the work -- the test record was
4 a thirty (30) minute retention time, so we've designed in
5 an hour. And then there's a clarifier but the clarifier
6 takes two (2) flows, and I'll talk about that in a
7 minute.

8 The -- the process water treatment system
9 is a little more difficult. What we have to do is first
10 we have to drop the pH to about five (5), and then we add
11 sodium sulfide for thirty (30) minutes or so. The
12 reaction's actually almost instantaneous, but we leave it
13 there for a while. And then we bring it back up to pH 9
14 and add ferric sulfate. That makes a reasonably fine
15 precipitate. And we mix the two (2) flows, the one from
16 the lime treatment plant together with the one from the
17 sulfide treatment plant, before we go into the clarifier.
18 And the reason we do that is, based upon the testing
19 we've done, we get much better clarification, and so that
20 is the overflow that ends up in the -- in the pond, the -
21 - the catchment pond.

22 So in this layout, here is the expe -- we
23 never need to expand the -- the mill process water
24 because the -- the production rate is not going up, so
25 whatever the flow rate from underground is, it really has

1 no affect on this plan.

2 So we have our expansion capability here.
3 These tanks are only about 4 or 5 metres in diameter. So
4 if we had to go to a thousand litres per second, we would
5 just add subsequent lines here and it would cause us to
6 consume more lime. Now, these tanks here are simply the
7 reagent mixing tanks.

8 Any questions...?

9 THE FACILITATOR: Yes. Chuck Hubert,
10 with the Review Board. Is there room onsite physically
11 to expand the water treatment plant in the manner that
12 you've just described?

13 MR. BYARD MACLEAN: It's Byard MacLean.
14 Yes, there certainly is. Yeah, that building -- I have
15 an overall site layout plan that I can put over on the
16 table and you can look at it. But you can see where the
17 water treatment plant sits in respect of the -- the mill
18 building. Well, I guess it's on the maps that you have
19 anyway.

20 But really all we're ask -- all we need to
21 expand is -- is a couple of agitated tanks, a lime
22 addition system, and an initial clarifier. So expansion
23 is quite simple.

24 THE FACILITATOR: Thank you. And did you
25 state that the treatment plant would be constructed with

1 a design capacity initially at a hundred (100) litres per
2 second? Can you confirm that?

3 MR. BYARD MACLEAN: Yes. The hundred
4 (100) litres per second is the -- is the row on the
5 right-hand side of the drawing, the two (2) tanks with
6 the dashed line around them in the clarifier is the
7 expansion to 200 litres per second.

8 THE FACILITATOR: Okay. Mr. Redvers, a
9 question?

10 MR. PETER REDVERS: Thank you. Just for
11 clarification then. The two (2) tanks are the expansion
12 tanks.

13 Are they going to actually be installed,
14 waiting but just not operable, or they items that you
15 would bring in if required?

16 MR. BYARD MACLEAN: The plan would be to
17 just leave the space available.

18 MR. PETER REDVERS: And what is the
19 turnaround time? I -- you're suggesting it's a fairly
20 simple process, but at the point one would assume that
21 you're going to realize that, you know, that a hundred
22 (100) litres per second is too low, but you're going to
23 realize that once the flows start to increase.

24 So what is the turnaround time, having
25 made that decision or recognizing that you might want

1 that added capacity, to actually have it operable? And
2 particularly the time of year when there may not be truck
3 access.

4 MR. BYARD MACLEAN: Well, you have to
5 assume that -- that based upon what Canadian Zinc wants
6 to do, we could have the -- the equipment onsite and it
7 could be erected in a month or it would come in over the
8 ice road. My sense is, although I have no evidence of
9 this, is that if the rate went up it would go up slowly
10 and we would have some notice that we were running into
11 troubles.

12 MR. PETER REDVERS: So they could be
13 flown in?

14 MR. BYARD MACLEAN: No, they'd come in by
15 road. Those are -- anything is possible in an emergency.
16 You would -- you could take them to a near road and sling
17 them in because they're not -- not that heavy, but --
18 they come in in parts.

19 MR. PETER REDVERS: Okay. No, that's
20 just what I was wondering because if -- if they can't
21 come in -- if they only have to come in by road then
22 you've -- you may have a long lead time. And that's one
23 (1) of the questions I think, David, I know I have raised
24 that before, is just really trying to get a handle on the
25 timing of that realistically, operationally, to increase

1 that -- that capacity.

2 MR. DAVE HARPLEY: Dave Harpley. You
3 know, the flow is not going to go from fifty (50) to two
4 hundred (200) overnight obviously. And I think we all
5 know fairly on in the development, once we start drawing
6 down the water and we're monitoring water levels in the
7 ground -- in the wells, how this is going to behave
8 longer term. We'll be updating our predictions pretty
9 much straight away. We start getting that sort of
10 credible data and we'll know fairly soon where we think
11 that number is going to be and we'll be ready for it.
12 It's not something that's going to happen and surprise
13 us.

14 MR. ALAN TAYLOR: Alan Taylor. Maybe
15 just to add to that is we do have the buffering capacity
16 of the water storage pond to direct those excess flows
17 to, temporarily.

18 MR. PETER REDVERS: No, I appreciate
19 that. Peter Redvers. I'm just trying to get a sense of
20 timing. That really was the issue.

21 And I hear, in best case scenario, a month
22 to -- to get things in and turn them around. Worst case
23 would be longer, but sounds like there would be, from
24 what you're saying, David, a fair lead time and the
25 ability to predict fairly early whether or not you're

1 going to need to do that.

2 THE FACILITATOR: Thank you. Any further
3 or follow-up questions?

4 MR. DEVIN PENNY: Just, I guess, going
5 back to sort of this whole balance and flow kind of
6 situation, it's our understanding there really are two
7 (2) options and I'm still not entirely clear on -- on why
8 the one (1) of them isn't acceptable.

9 The first one (1) is simply to abide by
10 the existing load limits or guidelines and ensuring at
11 the -- the end of the pipe that -- that the contaminants
12 are well within acceptable limits according to standards.

13 Now, my understanding is by the fact that,
14 again, because of this fine particular (sic) matter and
15 what you've mentioned about them actually carrying some
16 contaminants and metals, being able to maintain those
17 guidelines is -- is difficult or may be difficult under
18 certain circumstances. And, therefore, there's this need
19 for what I -- I see is a rather complex and
20 technologically driven process of monitoring and flow
21 management at -- at a number of levels, and perhaps with
22 some degree of, you know, heavy reliance on, as you
23 mentioned, realtime monitoring and -- and fairly quick
24 adaptive kind of management procedures that are both
25 technologically driven but also going to be driven by

1 operators, et cetera.

2 And I would suggest that that raises the -
3 - the possibility for error, whether it be technological
4 error or -- or operator error. And it -- it's very
5 complex, obviously, based on some of the queries and
6 questions that have been raised about being able to
7 adequately predict and monitor flow of not only the mine
8 water flow but creek water flow and creek water flow at
9 different times of the year. It may be more problematic
10 if, in fact, there are some relationships or connectivity
11 between the aquifers and sort of drawing up and drawing
12 down.

13 And the question really then is, and I go
14 back to it, and I'm -- and maybe if you could make it as
15 simple as possible for me because I need to obviously
16 relate this to the community at some point prior to the
17 community hearing, why is not possible to -- through the
18 water treatment process, to add some form of treatment
19 that would allow you to stay within the current
20 guidelines such that, at any time of the year, regardless
21 of the amount of water that you're discharging into the
22 creek, it is within acceptable limits, and the need for
23 dilution is minimized or eliminated?

24 And, therefore, the need for looking at
25 plumes and all these kinds of things become a little less

1 relevant in some of the highly technical monitoring and -
 2 - and flow control procedures become a little less -- you
 3 know, less required. And so, if you, again, maybe say
 4 that as simply as possible as why -- why that isn't the
 5 option.

6 MR. DAVE HARPLEY: Dave Harpley. I think
 7 it depends on your definition of current guidelines. The
 8 -- we feel that we're moving with the times with our
 9 proposal for a double set of guidelines, one (1) for in
 10 the pipe and one (1) for receiving water.

11 What you're implying, I think, is that why
 12 can't we just treat so the effluent's better quality.
 13 Well, if we were to do that, then we would have more
 14 complex treatment, which seems to be counter to what
 15 you've just said in terms of making things simple.

16 We don't believe that the monitoring will
 17 in fact be too difficult. It will be essentially
 18 automated and will be synthesize -- synthesized into
 19 really just managing a couple of numbers, which treatment
 20 plant operators, mill operators, do all the time on a --
 21 on a daily basis. So I don't believe we're talking about
 22 something that is so complicated that it can't be done.
 23 This is largely going to be done by instrumentation.

24 The fact of the matter is we believe the -
 25 - the water management strategy that we've selected is

1 the best we can do to minimize impacts in the receiving
2 environment. If somebody can tell me a better system,
3 I'm all ears, but I can't see how it can be better than
4 by storing and adjusting your discharge to maintain
5 concentrations throughout the seasonal range of flows.
6 To me, that has to be the best way to minimize impacts.

7 MR. DEVIN PENNY: Would it be possible
8 for you to maybe then just speak to, or explain the
9 complexity involved in -- in essence, scrubbing or
10 treating the water such that you do, you know, eliminate
11 more of the -- the concentrates.

12 What -- what would be the added step or
13 the complexity that would be required to do that, for
14 clarification? I'm -- I'm not sure.

15 MR. BYARD MACLEAN: Byard MacLean
16 speaking. The system that we've designed has two (2)
17 components in it that maybe I should talk about a little
18 more. In order to keep the metals -- with respect to the
19 water coming out from underground, the relationship
20 between water quality and -- and pH is quite evident, and
21 so we've, based upon the work we've done to date, raised
22 the pH up to 9.

23 If we were to raise it up a little higher,
24 you get a much better result. And so, when you're
25 operating you decide what that number is based upon

1 what's coming at you and -- and all the rest of it.

2 With respect to the -- the process water,
3 which is a little more complicated, the driver on that
4 one in terms of increasing the water quality is how low
5 you drive the pH in the first component. We're not
6 absolutely sure why that works, we just know that it
7 does. And so the system is designed to drop it to pH of
8 about 5, and then bring it up to 9 and -- and do the --
9 all the other bits and pieces.

10 But once we get in and get operating we'll
11 know whether it's five and a half (5 1/2) or whether it's
12 four (4). And the -- and the acid storage facility is
13 designed to -- to give us enough fire power to -- to drop
14 that pH low enough to get the job done. And, again,
15 we'll learn in the early years what exactly that lower
16 number is. And -- and if we need to add another acid
17 storage tank, we have room to do that as well.

18 So with the -- those are the two (2)
19 operating variables we have under the current system to
20 get -- to -- if our results are not looking exactly what
21 we've predicted in the lab and in the pilot plant, what
22 we can do about it to -- to clean it up in the short-
23 term, or in the long-term for that matter. It increases
24 the -- the consumables and it increases the -- you know,
25 the material has to come in to do it, but that's --

1 that's business.

2 Does that help?

3 MR. DEVIN PENNY: So is that, to some
4 degree, the miti -- mitigating factor is the amount of
5 reagents and that that you need to bring or utilize to
6 get a better quality coming out of that system?

7 MR. BYARD MACLEAN: Well, that's -- the -
8 - the consumption of the operating chemicals is -- is a
9 driver. What we've done is we've set the system up on
10 the consumptions as recommended by Semi (phonetic), who
11 did the -- the basic research, but the design has longer
12 retention times by a factor 2, expandability by a factor
13 of 2, and the ability to add more chemicals to whatever
14 it needs to be.

15 So that's how we mitigate the -- when we
16 go from the pilot plant to the field, whether it's a
17 flotation circuit, or a grinding circuit, or a water
18 treatment circuit, you scale up your items to make sure
19 that whatever can come up and bite you you've got, you
20 know, the best protection in place as possible.

21 MR. DEVIN PENNY: So, to some degree,
22 that is asking for sort of the two (2) sets of guidelines
23 somewhat of a buffer to -- until that -- things are up
24 and running and that you have a better handle on what
25 you're actually going to be able to do and what's going

1 to be able, you know, with -- with the system that you
2 have in place?

3 MR. BYARD MACLEAN: Byard MacLean again.
4 We have a system that we think gives a certain effluent
5 standard. But it's like when the engineers are asked to
6 take a pilot plant study and make it into real life,
7 their conservatism makes the retention times longer, the
8 pumps bigger, the addition systems more robust, all the
9 things you need because you can't predict the exact
10 consumption. You can't predict the exact quality of the
11 material coming in, and so you over design to compensate.

12 MR. DEVIN PENNY: Okay, I'll -- I'll
13 reflect on that for -- for a moment and leave it at that.
14 And we -- again, we've got some time today and tomorrow
15 still to -- to kind of followup, but thank you. It's
16 very helpful.

17 THE FACILITATOR: Thank you for those
18 questions and the answers. We'll proceed with Water
19 Resources.

20 MR. NATHEN RICHEA: Thank you. It's
21 Nathen Richea with INAC Water Resources. I just kind of
22 want to follow along the same lines there. Thank you for
23 the description of the treatment plant and how it all
24 kind of comes together.

25 I guess my feeling about potentially where

1 the question was going and -- and some of the discussion
2 was, typically -- I shouldn't say typically but most of
3 the time when there is an operation and processing is
4 required, the treatment plant treats the effluent such
5 that it can be discharged. I'm not saying that's
6 something that needs to be happening at the site, but
7 what from I -- what I gather from the proposed approach
8 to managing the water and discharging is, you'll process
9 the water through the treatment plant but then rely on
10 some dilution prior to actually being sent out the end of
11 the pipe. And that's not traditionally the way that
12 treatment occurs in a -- sort of in a northern
13 environment. I can't speak about other areas.

14 So I think we're just trying to figure out
15 why we're sort of treating but we're not treating to a
16 condition that you're going to actually just discharge.
17 And I understand that if you have water management, that
18 you need, you know, water that you need to manage onsite
19 and that it's a benefit to add that, but what's the
20 benefit of adding that before treatment versus adding it
21 after treatment. I just -- I just don't understand sort
22 of the framework behind treating but still relying on
23 some of the blending. There was a bit of a table that
24 was put up on -- on the overhead, I guess, discussing
25 that depending on the flow in the creek will blend

1 effluent such that it meets the effluent quality criteria
2 such that we meet an objective in the receiving
3 environment.

4 Like it's just a lot -- on paper it makes
5 sense. Theoretically you can put one (1) plus two (2)
6 plus four (4) plus, it works. The problem that we're
7 trying to understand is we see operator error all the
8 time in plants that are relatively simple, add a few
9 flocculents, go through a clarifier and discharge.
10 Sometimes you don't meet your EQCs and they're relatively
11 simple systems, but when you're relying on this, plus
12 sort of treatment, plus blending, plus, you know, a
13 discharge, it -- it gets very complex. And it may not be
14 complex on paper but as a reviewer it's hard to
15 understand and wrap your head around.

16 So I was wondering if you could maybe
17 speak a bit to that.

18 MR. BYARD MACLEAN: Byard MacLean. I'll
19 let Dave answer the majority of that question but I want
20 to -- I want to talk about blending.

21 There is no blending. It's part of the
22 water treatment process. You need to take the treated
23 effluent from the mine water circuit and mix it with the
24 treated effluent from the -- from the mill circuit
25 because you get better clarification when you mix those

1 two (2) together. And that was -- that arrived out of
2 trial and error, but it does give us a better clarifier
3 operation. So it -- it comes along with the territory.
4 It's not a -- a sort of a part of our strategy, it's part
5 of how we do water treatment.

6 MR. DAVE HARPLEY: Dave Harpley. In
7 fact, the mine water treatment is fairly straightforward:
8 treated and discharge it. We are not planning to alter
9 the mine water treatment discharge on a seasonal basis
10 simply because studies indicate that the effectiveness of
11 the treatment and the effluent quality we get out of it
12 is acceptable for year-round discharge. So that's fairly
13 simple and straightforward.

14 It's the process water effluent which has
15 a few more constituents in it that needs to be managed a
16 little differently. And that's why we've developed the
17 strategy to curtail treatment of that for three (3)
18 months of the year and also to decrease the treatment
19 rate in the shorter periods and maximize the treatment
20 rate during the -- the peak flow in the receiving
21 environment.

22 To me, it's not a case of relying on the
23 receiving environment to meet our targets, it's all about
24 minimizing impacts. And that's really the essence of the
25 discharge strategy. I don't think it's a complex thing

1 to do. It's certainly not terribly complicated as far as
2 treatment and as far as adjusting valves to either
3 increase treatment rate or decrease treatment rate and
4 commensurately modify the flow of water going to the pond
5 or going to treatment.

6 It's not rocket science. It's the best
7 way we see of minimizing impacts.

8 MR. NATHAN RICHEA: Nathan Richea, INAC
9 Water Resources. Thank you for that. And I would agree
10 with you. I guess everyone's on the same page that
11 everyone's trying to protect the receiving environment,
12 and I guess we're just trying to come at it sort of in
13 two (2) different lights.

14 I think I heard you say that basically the
15 water that's giving you the most trouble is the water
16 that's coming from your processing plant. I just don't
17 understand why we couldn't have a treatment plant, or
18 processing plant, I guess it's the same, why we can't
19 have a treatment plant that will manage the water from
20 your processing plant such that we are able to just
21 directly discharge that to the receiving environment and
22 meet our objectives.

23 So, it's kind of the same question that I
24 think we started off with on: Why can't we design the
25 treatment plant for this operation?

1 MR. DAVE HARPLEY: Dave Harpley. I -- I
2 think the answer to that is, if you were to try to do
3 that, you would end up with an infinitely more complex
4 treatment process which would be more difficult to manage
5 and you would have a situation where you had more
6 variability, so it's -- I -- I think it's
7 counterproductive.

8 You know, you can't -- you can't both want
9 lower effluent numbers and a simple manageable operation
10 at the same time. It's one or the other or -- or, you
11 know, a balance of the two (2). We think we have the
12 balance. We -- we have the big pond. We have the
13 ability to adjust the -- the treatment rate on a
14 seasonable basis, so, to us, that is the appropriate
15 balance and still have a manageable, still relatively
16 simple treatment process.

17 MR. NATHAN RICHEA: Nathan Richea, INAC
18 Water Resources. Thank you for that again.

19 I guess we're sort of -- I think when you
20 -- you -- when you talk about the complexity of the
21 system, I think you're referring to the complexity of the
22 treatment plant, not to complex -- complexity of the
23 framework for discharging.

24 I think we're coming from sort of the
25 complexity of the framework to discharging. You're

1 coming more from a technical complexity of the treatment
2 plant itself. So thank you. It does answer my question
3 but still leaves the unresolved issue of us trying to
4 understand how the system -- how the mine will operate
5 such that we will have confidence during high flows,
6 during medium flows, during increase inflows from
7 underground, during, you know, low flows, which I think
8 are probably most important.

9 And, also, we're also waiting for the new
10 information on the diffuser, so, I guess we're probably
11 not going to resolve it today. It's something that will
12 probably come up again and again until -- and we kind of
13 get the more information on the mixing and how this is
14 all kind of going to work out. But, yeah, it's just hard
15 for us to kind of understand sort of how the process will
16 work.

17 And from -- from INAC's perspective, it's
18 not just from an -- an assessment point of view, it's
19 also from a compliance point of view. Our inspectors are
20 responsible to ensure compliance during the operation.
21 Typically, we require sort of a maximum average
22 concentration, a maximum grab concentration.

23 And I think it's been proposed that
24 potentially a load be also included, which I agree with.
25 Those are all very good mechanisms for managing

1 compliance and enforcement. The challenges that INAC
2 will have as part of, you know, licensing and beyond is
3 how we'll be -- be assured that we are operating in
4 compliance and we're -- we're operating in -- you know,
5 what enforcement actions do we need to take when flows --
6 or discharge is changing depending on the volume of water
7 coming down the creek and how do we look at a running
8 average concentration when you have to consider those
9 factors.

10 It gets very -- very complicated for us
11 from a traditional sort of enforcement and compliance,
12 and we're trying to wrap our head around how we can sort
13 of achieve that, so.

14 MR. DAVE HARPLEY: Yeah, I can appreciate
15 that the enforcement side is going to be more complex
16 from what we're proposing.

17 What I can say is, as a company, if we
18 could simply just treat the discharge and not worry about
19 it, we would do that. It's less complicated for us. But
20 I believe the net result would be greater impacts in the
21 receiving environment. I don't think that's very
22 responsible corporately and I don't think it's the trend
23 for environmental management. And given where we are,
24 basically an island inside the Nahanni National Park, I
25 think we can do better. I think we should do better, and

1 that's largely behind this philosophy.

2 This is not -- we're not breaking new
3 ground here we don't believe. We feel that we're
4 following the spirit that's implied in the -- the draft
5 proposal for -- that was issued, the report that was
6 issued by the Land and Water Boards of the Fraser --
7 Mackenzie Valley, which seem to be talking about not
8 volume and concentrations being discharged but load and -
9 - and, ultimately, concentrations in the receiving
10 environment.

11 So the way I envisage this working from a
12 compliance point of view and from an oversight point of
13 view, is, as I've explained in one (1) of the appendices
14 to the IR response and I'll summarize. How I see this
15 working is in the licence there'll be written specified
16 background concentrations in Prairie Creek and we will be
17 monitoring the flow rate in Prairie Creek. And based on
18 the data that we have for treated water quality and --
19 and discharge water -- water quality, it's a simple
20 arithmetic calculation of how much load can we discharge.
21 And then based on treatment flow rate, what the maximum
22 concentration can be in that treated water discharge.

23 The first test will be, it has to be below
24 our end-of-pipe numbers, which, as I've indicated, I see
25 as the first set of EQC. The second set -- the second

1 hurdle, if you like, is whatever that concentra -- that
2 concentration is to get that load, it has to be less than
3 the computed load that we're allowed to discharge based
4 on background, the target, which is the size-specific
5 number, and the flow rate.

6 So it's a calculation. It's basically --
7 for an operator it's going to be two (2) numbers: What
8 is the load that I can -- that the receiving environment
9 can accept at this point in time, and what is the load
10 that I can discharge to be below that number. So it's
11 condensed.

12 Now, from a -- from a regulatory
13 standpoint the -- the flow monitoring device is an
14 automated thing. It records the data. We can provide
15 hourly flow rates in our SNP reports. The background
16 concentration is specified. The data on treated water
17 flow rate and quality can also be logged and provided
18 with reports.

19 So, I don't see in that mechanism why
20 there can't be sufficient oversight to demonstrate that
21 we're not only meeting the end-of-pipe numbers but we're
22 also meeting the end-of-stream numbers. And then our --
23 in the receiving environment numbers. And at the same
24 time, our AEMP is going to confirm for us that we are,
25 indeed, getting the environmental protection that we

1 intend with this approach, and, if not, then obviously
2 we're going to have to review why we're not. Is it
3 analytical variability in the receiving environment or
4 just what is it, and then we can consider some adaptation
5 at this point.

6 But, I don't see why we have to consider
7 backing off doing something that we feel is the best
8 approach for environmental management just because it's
9 complicated.

10 MR. NATHEN RICHEA: Thank you. Nathen
11 Richea, INAC Water Resources. I -- I heard you say one
12 (1) thing I think that's probably the -- one (1) of the
13 most important aspects of -- of this assessment process,
14 is the sensitivity of the location that we're dealing
15 with for the development, and I echo that. I think you
16 touched on that.

17 But one (1) thing I did want to discuss or
18 at least bring up, was, there's another way of sort of
19 determining what may be protective of the environment, or
20 at least determining what your effluent quality criteria
21 could be, and that is looking at what your objectives
22 are. And I think you proposed some objectives in your
23 receiving environment. And determining where -- where,
24 in the downstream environment, where your objectives are
25 to be achieved, then using sort of the mixing stuff that

1 may be coming tomorrow from the new sort of pipe design
2 in mixing work that you're doing, and back calculating
3 what the appropriate effluent quality criteria should be
4 at the end of pipe.

5 And you can do that under a high-flow
6 scenario, and you could do that under a low-flow
7 scenario, and that can give you your sensitivity of
8 what's protective in the receiving environment. In a
9 process like this, it's -- it's -- it provides confidence
10 to reviewers that we can expect to see, sort of, under
11 these conditions, volumes or concentrations or whatever
12 from the mine at -- at whatever they happen to be. Maybe
13 it's a range, maybe it's just one (1), what will actually
14 happen, sort of, in the downstream environment.

15 And I think you proposed sort of a
16 different approach and it's hard for us in -- in this
17 particular environment to -- to sort of understand that
18 and be confident in the way that it's presented. It may
19 not be incorrect, but it's hard for us to assess. And so
20 I -- that's sort of what I would like to bring to the
21 table is -- is it's hard for us to understand and assess
22 this proposed manage -- management scheme or effluent
23 discharge scheme. And, you know, how -- when we get
24 additional information on the mixing and, you know, the
25 new pipe, that design, but we'll be looking at it from a

1 -- you know, trying to protect a downstream environment
2 in what we may see from different conditions.

3 I don't know if I have anything else to
4 add, but... So yeah, I -- it is a very sensitive area
5 and for a reviewer to look at it, like I -- like I sort
6 of mentioned before, you can sort of back calculate what
7 the EQC should be under different conditions, high flow
8 or low flow or average flow, if you know what your
9 objective is and where you're trying to meet -- meet it
10 in your receiving environment. So it's something that
11 would be useful for this process.

12 I don't know if that's something that
13 you'd be willing to do as part of the modelling or not.
14 I leave it as a question I guess for the developer.

15

16 (BRIEF PAUSE)

17

18 MR. DAVE HARPLEY: Dave Harpley. Well,
19 we've discussed that the additional information on
20 dilution zone will be coming forward, the mixing, the
21 plume. I can say I think pretty confidently that the
22 size of the -- of the dilution zone will vary by flow
23 rate.

24 I'm not exactly sure yet till I get the
25 results exactly how much of the -- the variation is going

1 to be. But I don't nec -- again, depending on which EQC
 2 you -- you were referring to, but if we're talking about
 3 EQC in the receiving environment, which is what I think
 4 is the second set, I don't see those varying with -- with
 5 flow rate and seasonality. Those will stay fixed.

6 MR. NATHEN RICHEA: Nathen Richea, INAC
 7 Water Resources. Traditionally in water licences in the
 8 north, there is only one (1) set of effluent quality
 9 criteria and that's the end of pipe. There are
 10 objectives that would be established as part of the
 11 environmental assessment for what you try to achieve in
 12 your receiving environment, but they're not something
 13 traditionally right now that's regulated as part of the
 14 water licence.

15 But -- it kind of -- I think it touches on
 16 -- an item that Devin may have brought up earlier today,
 17 EEM sort of has the same requirement. You need to meet
 18 your effluent quality criteria at the end of pipe, that's
 19 your last point of control. After you release it from
 20 that -- from that pipe, there is no control, and nature
 21 is the control. And you can model how that will behave
 22 in the environment and you can calibrate that model
 23 through operating but there is no control after that. It
 24 just kind of -- it -- it kind of goes.

25 So part of the monitoring, I think -- and

1 he touched on that. Part of the monitoring that you do
2 will influence how you manage sort of that discharge.
3 And that'll be a component of this in -- I did want to
4 talk some specifics about the monitoring plan, and I
5 don't know if that's better today or whether we wait
6 until Ms. Dube's available tomorrow.

7 But I guess -- I'm not sure too. I -- I
8 think, to pose the question, and I'm not sure if you said
9 "yes" or "no," but it was about whether you would look at
10 the objectives and that calculating. I think you did say
11 that the mixing zone will change during high flow, I
12 assume. It's probably going to be closer to the point of
13 discharge than during low flow, but it'll probably be
14 further from the discharge.

15 Alternatively, one way to look at it would
16 be finding a midway zone with a high flow to the low flow
17 for that mixing zone, and then doing a back calculation
18 from there; that would be protective no matter what the
19 flow condition was. Under sort of a moderate flow and
20 moderate to high flow, it may be for flows less than the
21 mixing from that position to the lowest flow possible on
22 record. Maybe there is no discharge.

23 I don't know. I -- and I'm not throwing
24 that out there as that's what we should do, I'm just
25 saying, you know, the potential exists for under the

1 lowest flow scenario on the sixteen (16) year whatever
2 record that we have, the average sort of discharge will
3 be more than the actual flow in -- in the river.

4 And I'm not sure. I don't think you're
5 proposing to do that, but that's a bit of a concern for
6 us and we'd like to work with you on sort of what would
7 be the sort of maximum discharge in a very low flowing
8 type environment.

9 MR. DAVE HARPLEY: Dave Harpley. There's
10 -- there's a number of things in that commentary. The
11 one think you mentioned was traditional. I think we need
12 to recognize that the traditional way of water licence
13 application isn't always the best. And it seems that the
14 -- the draft report from the Land and Water Boards,
15 Mackenzie Valley, is pretty much saying that, that we
16 need to change, we need to move forward. And that's what
17 we believe we're doing.

18 As far as the low flow situation goes, we
19 don't think we will have an issue for discharge of mine
20 water in a low-flow situation. The issue is the process
21 water. And the extreme low flows that we see in the
22 record happen for a month, maybe two (2), and typically
23 they occur in late winter. And, at that point, we're not
24 discharging process water.

25 If it were outside of that period, we

1 would still be able to curtail treatment and discharge of
2 process water, so we -- we think we have quite adifer --
3 adequate ability to modify the discharge to prevent
4 possible impacts that would occur if we just carried on
5 doing what we normally did without taking account of
6 what's ha -- happening in the natural environment.

7 MR. NATHAN RICHEA: Thank you. It's
8 Nathan Richea, with INAC Water Resources. I only have
9 two (2) remaining things for now, and then I can let
10 someone else speak.

11 But, first off, I think you referenced
12 Mackenzie Valley and Water Board document, or something
13 like that. Did -- did you provide that as part of your
14 package? I -- I'm not sure if I'm aware of that.

15 MR. DAVE HARPLEY: I -- sorry. I didn't,
16 but that's -- I believe it's freely available and it was
17 referenced. It was -- it has been circulated to all
18 proponents and government institutions. I'm sure you
19 have a copy.

20 THE FACILITATOR: That document is --
21 well it's draft, and it's not our public registry for
22 this project at the moment.

23 MR. NATHAN RICHEA: Oh, Nathan Richea,
24 Water Resources INAC. Oh, okay. I'll have to dig that
25 up. I -- I'm not aware of it, so. Oh, sorry. Nathan

1 Richea, INAC. One (1) last question. I was just
2 wondering if Anne Wilson is still on the phone.

3 MS. ANNE WILSON: Yes, I am.

4 MR. NATHAN RICHEA: Anne, I just had --
5 I'm trying to understand maybe what your request was and
6 what the response was from Can. Zinc. Or the table. You
7 men -- you mentioned a table that took into consideration
8 sort of -- and correct me if I'm wrong. It would outline
9 basically the end-of-pipe concentration under a scenario
10 where basically adding the various tables that were
11 presented in the appendix.

12 I think you talked a bit about sew --
13 adding sewage, the process water, and potentially the
14 surface water. Can you speak to that again? I -- I
15 don't know if I followed that correctly.

16 MS. ANNE WILSON: Anne Wilson here. The
17 table PC-39, from their Information Request, was the
18 predicted water quality at the point of compliance. And
19 it would be very helpful to have one (1) number for each
20 of the relevant parameters that include contributions
21 from the process water, the mine water, site runoff as
22 appropriate, and the sewage effluent.

23 To acknowledge that that is going to vary
24 throughout the year, either a seasonal average with
25 estimated maxes and mins be useful, or an annual average.

1 Does that helps?

2 MR. NATHAN RICHEA: Nathan Richea, INAC
3 Water Resources. Yeah, I guess so. I'm looking at the
4 PC-39 table now. And what did -- what was the swa -- you
5 -- you said you would have that -- you could make that
6 available in a week.

7 MR. DAVE HARPLEY: I said, yes, that we
8 would look at doing that. I think what Anne wants is one
9 (1) column of all the numbers for the -- for the pipe,
10 everything mixed.

11 MR. NATHAN RICHEA: Nathan Richea, INAC
12 Water Resources. Anne, did you say that you wanted
13 additional parameters than the ones that were just listed
14 in the tables that are existing, namely, cadmium, copper,
15 lead, selenium, and zinc?

16 MS. ANNE WILSON: It's Anne Wilson.
17 Normally in the -- the mining effluent reviews for
18 environmental assessments we are given a full suite of
19 parameters that are going to be going into the receiving
20 environment; that would include major ions, nutrients,
21 and metals.

22 Some of these parameters act as modifying
23 factors on each other. That's why it's important to have
24 a good sense of what the full effluent characterization
25 is.

1 MR. NATHAN RICHEA: Nathan Richea, INAC
2 Water Resources. Okay. And, again, I guess that's
3 something that you guys can do for -- in a week's time?

4 MR. DAVE HARPLEY: That's what we're
5 looking into.

6 THE FACILITATOR: Thanks for that
7 commitment.

8 MR. NATHAN RICHEA: All right, thank you.
9 It's Nathan Richea, with INAC Water Resources. We'd be
10 interested in that too, so I was just -- I just wanted to
11 clarify that was what the undertaking was, and we'd be
12 interested in taking a look at that, so thank you.

13 MS. ANNE WILSON: It's Anne Wilson. Can
14 I go back to the discharge strategy to make just a
15 comment?

16 THE FACILITATOR: Yes, you may. Please
17 proceed.

18 MS. ANNE WILSON: Okay. The -- Anne
19 Wilson again. The developer has mentioned that the Water
20 Board should think in different terms as far as doing a
21 more flexible discharge strategy or regulation of -- of
22 effluent. I don't know if you were familiar with or
23 spoke to anyone involved with the Doris North Project,
24 which is a new mi -- mining project. They had been
25 actually permitted to discharge from a given tailings

1 lake at MMER, and then have a compliance point -- a
2 secondary compliance point downstream.

3 Now, although this was actually permitted,
4 they have never done so. And I think part of the reason
5 for that is that they're vulnerable to having good
6 realtime data to know what their flows and what their
7 quality of effluent are in order to meet that downstream
8 compliance point number, and the vulnerability for adding
9 human error is another factor.

10 So I guess that's a comment for you to
11 think about. And a question is: Have you really
12 pondered that -- that other idea, like the -- the other
13 project trying that? Have you talked to them, and did
14 any of that come through on the phone?

15 MR. DAVE HARPLEY: Anne, it's Dave
16 Harpley here. Byrod, sitting here to my left, is one (1)
17 of the people that's working on the Doris North Project,
18 and he's telling me that the mill hasn't been built yet,
19 so it's kind of premature to, I guess, consider what they
20 are done doing or proposing.

21 I did want to go back to some further
22 comment on this discussion that I didn't cover and
23 actually forgot about in my reply. But talking about
24 this regulatory approach and the end-of-pipe versus the
25 in-stream concentrations, if we were to consider only

1 end-of-pipe concentrations and if we wanted to per se
2 back calculate to applicable numbers, if those numbers
3 are based on receiving numbers in the environment, then
4 we would theoretically have a different set of end-of-
5 pipe EQC for every month of the year in order to account
6 for the seasonal changes that occur in the receiving
7 environment.

8 So, okay, that -- that is probably simpler
9 to oversee from a regulatory perspective, but, again,
10 it's -- it's rigid in the sense that, okay, if you have a
11 particular set of numbers for any given month, well, what
12 if the flow isn't what you expect in that particular
13 month? What if it's lower or what if it's higher?

14 Then, you know, your -- your EQC go out
15 the window. So -- and -- and we considered that in -- in
16 our analysis of this issue, and -- and came to the
17 conclusion that that's unworkable, and, again,
18 effectively either penalizes the operation or penalizes
19 the receiving environment because of its rigidity, and
20 that's why we opted to go for let's rather have one (1)
21 set of numbers for end of pipe which guarantees that we
22 don't have acutely toxic water discharging, and let's
23 have a second set of EQCs that is based on the receiving
24 environment and is based on realtime data of what's
25 happening in the environment. And that's kind of a

1 background of how we arrived at this approach.

2 MS. ANNE WILSON: It's Anne Wilson. No, I
3 understand where you're coming from on that. I guess
4 that's where it would be helpful to have -- for me to
5 have a better sense of this whole effluent
6 characterization.

7 I think we also have to keep in mind that
8 setting the EQCs is based on not only what the company
9 can meet, but what is protective of the environment. At
10 this stage of the game, we have to look at what those
11 potential impacts may be.

12 And I would agree that having a moving
13 target with monthly variations based on flows to a
14 regulated number would just be a nightmare for anyone to
15 enforce. We'll have to have some further discussions on
16 -- on appropriate EQC, so.

17 THE FACILITATOR: Thank you, Anne.
18 Further --

19 MS. ANNE WILSON: Sorry?

20 THE FACILITATOR: Do you have a further
21 followup question?

22 MS. ANNE WILSON: I'm sor -- Anne Wilson.
23 I couldn't understand that.

24 THE FACILITATOR: My apologies. Do you
25 have a further followup question to that, or are you

1 through for the time being?

2 MS. ANNE WILSON: Oh, it's Anne Wilson.
3 No, I don't. That was more of a comment. Thanks.

4 THE FACILITATOR: Thank you very much.
5 And, Mr. Redvers, I believe has a question?

6 MR. PETER REDVERS: I had a couple of
7 questions: One was just wondering whether or not there
8 was an example of this kind of a water management system
9 that is already in place and operating?

10 It sounds like there was a mention of a
11 project in which it was proposed, but that hasn't come to
12 operation. So is there an example of -- you know, an
13 operating example of this approach being applied that
14 could be used for, sort of, analysis or comparative
15 purposes?

16 Sorry, Peter Redvers, speaking.

17 MR. DAVE HARPLEY: Dave Harpley,

18 MS. ANNE WILSON: I don't know of
19 anything directly comparable. The one in Nunavut Doors
20 North (phonetic) as you noted isn't -- it was permitted
21 but it isn't operating yet. The closest thing that we
22 could point at would perhaps be the Cansun (phonetic)
23 mine which is regulated in the groundwater, so that is a
24 little different after it is exfiltrated (phonetic).

25 MR. DAVE HARPLEY: Yeah, Dave Harpley. I

1 was going to add that, no, I'm not aware of one in Canada
2 at this point but I kind of think we're breaking new
3 ground here, and just because there isn't one doesn't
4 suggest to me that there shouldn't be one.

5 One (1) other thing is we're not the only
6 jurisdiction in -- in -- that's in the world that's
7 considering this approach. Shannon, you had mentioned
8 before this TMDL approach, and maybe you want to give
9 some background to that.

10 MS. SHANNON SHAW: Thanks. Shannon Shaw.
11 I can't really talk specifics about any of the projects,
12 but a number of the watersheds in the states are using
13 what they call a "total maximum daily loads", setting
14 objectives within stream for projects in particular that
15 have more than one (1) point source to that stream. And
16 that -- that might be a comparable model to kind of look
17 at how it's operating and -- and successes of that or
18 otherwise.

19 I know as an add-on that it's something
20 we're considering at another project in BC, as well, is
21 regulating discharges on a load basis.

22 MR. PETER REDVERS: Sorry, who -- Peter
23 Redvers. Who -- who are you with? You're with -- a
24 consultant with Canadian Zinc, or you...

25 MS. SHANNON SHAW: Right. I am Phase

1 Geochemistry --

2 MR. PETER REDVERS: Okay.

3 MS. SHANNON SHAW: -- and I'm consulting
4 to Canadian Zinc.

5 MR. PETER REDVERS: Thank you. Just for
6 clarification. Peter Redvers again. And the -- the
7 other question I have this -- and to -- it hadn't really
8 been clear before, becoming a little clearer through this
9 discussion and just a point of interest.

10 The EA that we're currently in is being
11 conducted under a certain set of existing legislation and
12 -- and regulations. And those regulations, I think, have
13 been -- from what I'm hearing from some of the others,
14 are saying, We'll still work with an end-of-pipe
15 compliance point and a single set of numbers on that and
16 the current -- there's a current set of guidelines that
17 are in place.

18 What you're proposing -- and correct me if
19 I'm wrong -- to some degree is dependant on a shift or a
20 change in regulations, and although that is being
21 proposed, it's in draft stage.

22 So are we reviewing a proposal that is
23 dependant upon a future set of regulations, or are we
24 reviewing something that is applicable or workable within
25 the existing legislation and regulations?

1 MR. DAVE HARPLEY: Dave Harpley. I
2 believe what we're doing in this EA process is assessing
3 the impacts. And what the regulators are discussing at
4 this forum in the last hour or so is more to do, well,
5 how do we turn those -- that assessment of impacts into a
6 workable regulatory instrument. And that instrument
7 comes into play at the permitting stage, not at the yay
8 stage. So I don't believe we're talking about changing
9 legislation here.

10 As far as I understand the Water Boards
11 have within their existing powers and mandate to apply
12 whatever criteria or conditions are necessary to
13 implement whatever recommendations come out of an EA
14 process.

15 MR. PETER REDVERS: Peter Redvers. Would
16 it be helpful then, I guess, to provide a scenario or
17 speak to a scenario where the water treatment plant did,
18 in fact, scrub or achieve a water quality that could
19 reach -- achieve, you know, the existing guidelines for
20 end-of-pipe compliance and assess the potential impacts
21 of that on the stream and then compare that with the
22 model that is being proposed.

23 Because if -- if the -- if the whole point
24 is really impact assessment, then would it -- would some
25 comparison, I guess, allow for, in this case Naha Dehe,

1 the community, to assess whether or not, or to what
2 degree -- the degree of impacts would change or shift
3 with one (1) approach versus the other approach.

4 I'm -- and I don't know how much work
5 would be required to do that, or whether that's
6 necessary. I'm just -- and certainly in -- in terms of
7 trying to wrap one's head about it, then certainly having
8 a better understanding of this versus that and why this
9 would be chosen in terms of reducing impact versus the --
10 the model or the approach that's currently used might be
11 -- might be helpful.

12 If you could comment on that?

13 MR. DAVE HARPLEY: Dave Harpley. I'm --
14 I'm not sure about how much work it requires, but I
15 don't really see the point of the work. If we were to
16 simply treat discharge mine and mill water year round at
17 the same rate, there's no question that the impacts to
18 the environment will be greater than what we're proposing
19 now. So what's the point of doing that exercise?

20 THE FACILITATOR: Thank you. And I
21 believe further questions over here. And sorry for
22 taking that microphone away from you earlier. The reason
23 I do this is to give Paul more exercise.

24 MS. ROCHELLE DRUMM: Rochelle Drumm,
25 WESA. If the dual effluent quality criteria is adopted,

1 but then let's say ten (10) years down the road
2 environmental conditions change, we have less stream
3 flow, or more mine inflow, and you just can't meet the
4 dual effluent quality criteria, at that point do you have
5 a contingency plan to increase the treatment plant so
6 that it can meet the end-of-pipe discharge limits?

7 MR. DAVE HARPLEY: Dave Harpley. I think
8 we mentioned a couple of hours ago that the plant was
9 expandable to two hundred (200) and beyond, so that
10 simple answer is, yes.

11 MS. ROCHELLE DRUMM: Rochelle Drumm,
12 WESA. I -- I'm considering if the actual stream flows
13 decrease and so then you are unable to discharge large
14 quantities to meet your effluent criteria, as an example
15 of the changing conditions.

16 I'm just wondering if you have a
17 contingency plan for whatever may be that could change
18 the conditions now to some point where you can't apply
19 this?

20 MR. DAVE HARPLEY: Dave Harpley. I -- I
21 guess you are kind of thinking towards global warming
22 maybe, or something dramatically different. Indications
23 to us are that if, in fact, we are going to suffer the
24 effects of global warming, in our project area there's
25 more likelihood of flows actually being higher than

1 lower. So it would be probably easier for us in that
2 respect.

3 But -- so I guess that's why we haven't
4 really thought too hard about a contingency just in the
5 event that receiving environment flows were actually
6 lower. We'd have to certainly give more detailed thought
7 to what impacts those flows are going to have on the --
8 not just our operation, but on the environment itself in
9 terms of resident aquatic species.

10 I don't think it's going to significantly
11 impact on the mine water treatment discharge simply
12 because the effluent quality is good enough that we can
13 pretty much discharge at any time. It may be that we'll
14 have to review the process water treatment and consider
15 if there's a mechanism of raising the complexity of that
16 process to lower the effluent quality.

17 MS. ROCHELLE DRUMM: Thank you.

18 MR. JAMIE VANGULCK: Jamie VanGulck with
19 Parks Canada. I'd like to go back to the predictions for
20 water quality in the stream. And specifically looking
21 at arsenic for the different conditions that were
22 modelled, whether it be average flows in the stream, low
23 flows, or high flows.

24 At the Park's boundary, which is your
25 furthest location that you've considered for the

1 modelling from the mine, when there is no process water
2 being discharged you're consistently over on the in-
3 stream objectives for arsenic, as well as a few other
4 parameters.

5 What is going to be done to rectify that,
6 or is that an acceptable concentration?

7 THE FACILITATOR: Before -- before Mr.
8 Harpley answers, which appendix are we talking about?
9 Appendix J. Thanks.

10

11 (BRIEF PAUSE)

12

13 MR. DAVE HARPLEY: Dave Harpley. You
14 will remember that in our screening of concentrations in
15 the mine water and mill water. We determined a list of
16 metals that were close to or above prevailing engineering
17 guidelines. And based on that screening, those metals
18 were selected for consideration of site-specific
19 objectives; arsenic was not one of those metals.

20 If you -- you know, you're referring to
21 the table of the predictions. And the predictions are
22 basically complying with a request to develop additional
23 site-specific guidelines and to make predictions using
24 them. We've done that. We don't agree, though, that
25 that is the appropriate approach for those particular

1 parameters because they are consid -- significantly below
2 the generic guidelines for the protection of aquatic
3 life, which are based on aquatic toxicity information.

4 So, if you look at the arsenic
5 concentrations compared to its CCME guideline, those
6 concentrations are well below, even at low creek flows
7 and high mine flows. So the answer is, We're not
8 proposing to do anything different from our current
9 strategy of focussing on those metals which are
10 problematic in terms of generic guidelines.

11 MR. JAMIE VANGULCK: Jamie VanGulck with
12 Parks Canada. Then I'm -- I'm very confused then with
13 what the in-stream objectives are referring to in these
14 tables with regards to some of these other metals, such
15 as cadmium, copper, lead, selenium, zinc, arsenic, iron,
16 mercury, silver, as well as the ammonium nitrate, nitrate
17 phosphorus.

18 Are we to consider that these in-stream
19 objectives that you have in the table to be what you
20 accept as a limit for discharge -- or a limit for
21 concentrations in the river, or am -- am I
22 misinterpreting?

23 MR. DAVE HARPLEY: Dave Harpley. As I
24 mentioned, we decided to comply with the request to
25 provide the information. We didn't, at the same time,

1 agree that all of those site-specific guidelines would be
2 ones we would propose for regulation.

3 We have only proposed the site specific
4 guidelines of the screened metals that we developed the
5 site-specific guidelines for, and that's the cadmium,
6 copper, zinc, selenium, and I think there's one other
7 but.... And, at the same time, we are recognizing that
8 there needs to be numbers for other constituents, and
9 including ammonia, but not based on site-specific
10 approaches.

11 I'm just trying to find the -- the right
12 appendix where we indicate our suggestions for a water
13 licence. And that's more reflective of what we believe
14 is the appropriate approach for regulation.

15

16 (BRIEF PAUSE)

17

18 MR. JAMIE VANGULCK: Jamie VanGulck, with
19 Parks Canada. Could you refer me, in the DAR or in your
20 Information Request responses, where it may reference
21 what concentrations for these added metals and nutrients
22 are acceptable in terms of protective of aquatic life?

23 MR. DAVE HARPLEY: Dave Harpley. If the
24 -- in table L1, which is in the appendix L of the IR
25 response, there is a list of end-of-pipe concentrations

1 that we are proposing be included in a water licence.
2 This is the first set of EQC and is the set that I think
3 Ann has taken issue with earlier in terms of stating that
4 she feels the numbers are too high.

5 These are the numbers that I said that we
6 selected to give operational flexibility, and -- but, at
7 the same time, assuming that they would also be com -- or
8 guaranteeing that we would not have acutely toxic water
9 being discharged. So that's the first set of EQC, which
10 is obviously subject to further consideration.

11 The second set of EQC are based on
12 appendix J and, as explained in the text of appendix J,
13 we are proposing to use site specific guidelines for the
14 key problem metals, which is the first group that we
15 modelled, those being cadmium, copper, lead, selenium,
16 and zinc.

17 In addition to that, we're suggesting that
18 a different approach be taken for other constituents, one
19 (1) of which is ammonia, and that's explained in the text
20 of appendix J.

21

22 (BRIEF PAUSE)

23

24 THE FACILITATOR: Thank you for that, or
25 do you need a minute before you continue the discussion?

1 Okay.

2

3 (BRIEF PAUSE)

4

5 UNIDENTIFIED SPEAKER: I had a quick
6 question for you, Dave. Just a question that's come up
7 is, in your water balance, have you accounted for the
8 loss of water that may happen, or will happen, actually,
9 with water freezing in -- in your -- your tailings pond
10 area? Does that -- have you accounted for that at all?

11 MR. DAVE HARPLEY: Dave Harpley. The
12 water balance is not constrained by the -- the water
13 storage pond in the sense that we're not proposing to
14 store everything in the pond all the time. We're dealing
15 with split streams of mine water and mill water and
16 treating. So from -- from a purely water management
17 perspective, icing on the pond really doesn't affect the
18 water management strategy system.

19 In addition to that, we've operated
20 through the winter on two (2) or three (3) occasions when
21 there's been activities onsite, and including when we had
22 a polishing pond in operation. And, yes, we get ice
23 maybe up to 1 foot thickness, but we can still use the
24 pond. We can still operate the pond. We can, in fact,
25 keep the -- the inflow and the outflow ice free by just

1 keeping the water circulating.

2 So we don't believe and we don't foresee
3 that we're going to have significant issues with icing in
4 -- in the big pond during operations.

5 UNIDENTIFIED SPEAKER: And with some --
6 will some of that water be used in water treatment? This
7 is one (1) of the questions that I have that leads up to
8 another one.

9 MR. DAVE HARPLEY: Some of which water?

10 UNIDENTIFIED SPEAKER: Some of the water
11 within the tailings pond, will that be used for -- or --

12 MR. DAVE HARPLEY: No. No. No, the --
13 the water storage pond feeds the mill. It does not feed
14 the water treatment plant.

15 UNIDENTIFIED SPEAKER: Okay. One (1)
16 question I had, I guess, was just I've heard of some
17 instances where wa -- ice formation expels some
18 substances from the ice, and I'm wondering if that would
19 affect your chemistry at all and be an issue.

20 How -- how would you see that being an
21 issue, if at all?

22 MR. BYARD MACLEAN: Yeah, the ice ends up
23 being fairly pure water, but with a foot on the surface,
24 it being several metres deep, it might up the -- the
25 grade of material going back into the building. But

1 since it's going into the building for processing, I
2 don't think it causes us any problems. It's Byard
3 MacLean.

4

5 (BRIEF PAUSE)

6

7 THE FACILITATOR: Thanks for that. One
8 (1) related question with effluent from the water
9 treatment pond. Can you describe the use of the
10 catchment pond during various seasons during operations?

11 MR. DAVE HARPLEY: Dave Harpley. The
12 catchment pond essentially manages surface water runoff.
13 So in -- in the open water season it collects drainage
14 from the main site ditch, and also a ditch that runs
15 alongside the mill. And, at that time, the intent would
16 be to have the effluent from the treatment plant mixing
17 with surface runoff within the pond before discharging
18 via the outlet pipe to the outfall.

19 In the wintertime, we would propose to
20 effectively close the pipe from the treatment pond to the
21 outfall so it was a direct discharge and basically taking
22 the catchment pond out of the equation. The reason for
23 that is, obviously, runoff would then, at that point, not
24 be flowing into the pond and we would not -- not want the
25 -- the discharge to be compromised by icing in -- in the

1 catchment pond, which -- which could actually freeze near
2 to or at the bottom of the pond itself.

3 We would ensure that the -- the pipe
4 discharge would remain ice free by maintaining flow,
5 which usually does -- does that for us, or, if necessary,
6 we can heat trace the line to make sure it doesn't ice
7 up.

8 THE FACILITATOR: Thank you for that,
9 Dave. Parks Canada, please.

10 MR. JAMIE VANGULCK: Jamie VanGulck with
11 Parks Canada. I'd like to come back to Appendix J with
12 the water quality predictions. And I'm sorry for going
13 down this route one more time, but I'm still a bit
14 confused with some of the -- the terms used in the table
15 and how they're going to be applied.

16 Am I understanding things correct when I
17 say, the in-stream objectives that are shown in these
18 tables for the other metals par -- parameters, and as
19 well as the other parameters, so that would be the
20 cadmium -- sorry, the -- the nutrients and some of these
21 other metals, that those in-stream objectives are not
22 what you're recommending for being acceptable
23 concentrations in the environment?

24 MR. DAVE HARPLEY: Correct. The reason
25 being is the appropriate CCME guidelines are

1 significantly higher than the site-specific numbers,
2 indicating that on a -- on a -- on an aquatic toxicity
3 basis the site-specific guidelines don't really help us,
4 or are not really necessary in avoiding significant
5 impacts.

6 MR. JAMIE VANGULCK: Jamie VanGulck with
7 Parks Canada. So will the -- will there be limits set
8 for acceptable concentrations of these parameters?

9 MR. DAVE HARPLEY: I -- that's up to the
10 Water Board to decide, I guess. But I wouldn't be
11 surprised to see numbers for a good number of them in the
12 end-of-pipe constraint, but we would not expect to see
13 these numbers, the site-specific numbers in a -- in our
14 objectives for the receiving environment because
15 currently we could not meet them and, more importantly,
16 we don't believe they're necessary for environmental
17 protection.

18 THE FACILITATOR: Thank you. Is there a
19 follow-up question or a related question on the topic?

20 MS. ROCHELLE DRUMM: Rochelle Drumm,
21 WESA. I have some questions with respect to the tables
22 in -- in Appendix J. But, for the post closure mining
23 in-stream concentrations...right. There's -- during the
24 low Prairie Creek flows there are expected exceedences of
25 cadmium, lead, and zinc. And there are no tables for the

1 other metals that were produced, so I'm not sure if
2 there's other exceedences that may be predicted as well
3 for post-closure.

4 Those concentrations were based on extreme
5 low flow conditions and the assumption that was made for
6 groundwater recharge into the streambed was a 50 percent
7 reduction of what is generally expected for that same
8 month.

9 And I'm wondering if it's possible to do a
10 sensitivity analysis because the 50 percent reduction may
11 not be accurate all the time and if it's only a 75 -- a
12 25 percent reduction in groundwater flow then those
13 concentrations may even be higher and exceed for more
14 months.

15 MR. CHRISTOPH WELLS: It's Christoph
16 Wells from Robertson GeoConsultants. Could you just
17 clarify, is this for the load balance work that was done
18 by Robertson?

19 MS. ROCHELLE DRUMM: Rochelle Drumm from
20 WESA. Yes, my concern is just the choice of choosing 50
21 percent reduction in groundwater discharging into the ba
22 -- into the base of the stream and as a result decreasing
23 the loadings from the vein fault and from the waste rock
24 pile.

25 MR. CHRISTOPH WELLS: Well, we're usi --

1 we're using very low flows in the stream, so it seems
2 reasonable to me that the groundwater system is also low,
3 and 50 percent is less reduction in the groundwater
4 system than we assumed for the stream flow, so I'm
5 already on a very conservative side to keep the
6 groundwater at a higher level reduction than the -- the
7 overall catchment.

8 So I could do this, but is it a realistic
9 scenario? That -- that will be my question. It's easy
10 to do a sensitivity run with 25 percent or in -- in fact
11 -- no, higher, to 75 percent groundwater flow, it's -- I
12 don't know, I find it an unreasonable assumption. Fifty
13 percent, to me, is an already high assumption.

14 MS. ROCHELLE DRUMM: Rochelle Drumm,
15 WESA. I -- I -- some of the groundwater may be coming
16 from a longer flow path deeper down. And, in that
17 instance, the gradients in the groundwater won't be
18 affected by some difference in precipitation of dry
19 months as much as something that's at a shorter
20 groundwater flow path into the streambed.

21 And, as it is now, it doesn't seem like
22 there any monitoring wells in the Prairie Creek elevial -
23 - alluvial aquifer or in the Harrison Creek alluvial
24 aquifer that are deeper than about 5 or 8 metres, yet
25 those deposits are as thick as twenty-five (25) or forty

1 (40), something to that effect, and so that's why I'm
2 concerned that maybe 50 percent may not be accurate.

3 And, also, some of the low flow
4 conditions, or extreme low, may not be 50 percent of the
5 flow for that particular month over the sixteen (16)
6 years that it was -- it may just be like a 25 percent
7 reduction in the streambed, not 50 percent.

8 So -- and -- and I'm just thinking that
9 those concentrations could increase quite significantly
10 if that was -- a sensitivity analysis was conducted. And
11 you may find that you will exceed over more months than
12 just a few.

13 MR. CHRISTOPH WELS: Christoph Wels
14 again. Well, my response will be that we have to -- if
15 you want to do these calculations, they have to be
16 justified. We can't just do 75 percent, 80 percent.
17 There has to be then a decision made which is the
18 reasonable scenario. My professional judgment was that
19 50 percent is a conservative assumption.

20 One way you can look at this is to look at
21 one -- (1) of the few pieces of information, we have good
22 information on is the flow from the tunnel. And the flow
23 from the tunnel goes down dramatically seasonally. And,
24 in fact, it's highly responsive to rainfall.

25 So that is my analogy, the best analogy I

1 have today, to assume that there is a highly transient
2 groundwater system. And if you look at those discharge
3 changes over the seasons, and also over the years
4 depending on the wetter and drier years, I see a very
5 significant change in groundwater flux, and this is
6 coming from the MQV because that's where the mine is
7 getting its water from.

8 So my professional judgment still stands,
9 that I think 50 percent at a very extreme low flow
10 scenario is actually a conservative assumption.

11 MS. ROCHELLE DRUMM: Rochelle Drumm,
12 WESA.

13 MR. DAVE HARPLEY: Sorry, Dave Harpley.
14 I just wanted to add to that. The -- the low flows occur
15 in late winter, and, at that time, I think it's probably
16 fairly safe to say that the flow is based on groundwater
17 discharge to the stream.

18 So it seems logical to me that if the
19 groundwater discharge to the stream is normally low, then
20 the groundwater discharge everywhere is going to be
21 normally low. So it seems logical to me that bears out
22 Christoph's assumption.

23 The other thing that I think plays into
24 this is we can't just consider this one (1) item of this
25 equation in isolation, all the other assumptions. Part

1 of the assumption going into the -- the low balance is
2 how much groundwater actually contacts the backfilled
3 tailings mix.

4 And Christoph's modelling has indicated
5 that 99.9 percent of the flow goes in the fracture mass
6 around the backfill and does not contact the backfill.
7 However, I think that we assume that only 99 percent of
8 the water does that. So we've already been an order
9 (sic) conservative in the contact of the backfill mix is
10 low calculation.

11 So, I mean, you can look at all sorts of
12 conservatism, but, you know, it seems to me that it's --
13 it's distinctly additive, and we've already been very
14 conservative -- or, you know, in the first place.

15

16 (BRIEF PAUSE)

17

18 MS. ROCHELLE DRUMM: . . . more comments
19 on that particular issue, but I -- I do have another
20 comment with respect to the post-closure concentrations.
21 We -- you do have predictions of exceedences for cadmium,
22 lead, and zinc. And it is said that you believe that
23 natural attenuation will clear up these exceedences by
24 the time that discharges to the river.

25 And is this based on studies of the

1 natural attenuative (phonetic) capacity of the aquifer
2 over the long-term, or just a general assumption?

3 MR. DAVE HARPLEY: Dave Harpley. I guess
4 it's may -- it's a general assumption. It's a
5 recognition that not all metals are -- behave the same
6 way in the natural environment. Some are conservative;
7 some aren't. Sulfate and zinc are ones -- sulfate is not
8 a metal obviously but they're conservative parameters,
9 but other metals, including cadmium and lead, are not
10 conservative.

11 So we're merely just indicating that the
12 numbers that we've shown in these predictions are purely
13 arithmetic. And it -- it does not take into account any
14 attenuation, which almost certainly will occur, and quite
15 significantly. So the exceedence is, yes, they're there.
16 They are still fairly close to the site-specific
17 guideline. And it would not take much attenuation at all
18 to knock those numbers substantially lower.

19 MR. ROCHELLE DRUMM: Rochelle Drumm,
20 WESA. I guess I was thinking possibly if -- if the
21 groundwater flow velocity is so fast through the main
22 aquifer fault, or the main quartz vein fault, that you
23 will not have the sort of absorption of cadmium and lead
24 onto your aquifer medium, or possibly that -- that you
25 just have exceeded your capacity in the aquifers over the

1 long term.

2 MR. CHRISTOPH WELS: Christoph Wels
3 speaking. It's theoretically possible that what you're
4 saying is correct, that -- that either the -- the
5 kinetics are changing or -- or not -- not sufficient to
6 precipitate out these metals. We're talking about very
7 low trace concentrations to begin with, and all the
8 statement was saying is that it is, in my experience, at
9 very few sites do I see metals at these low
10 concentrations.

11 As particular, some of these that are
12 still under now know -- we're talking about very minimum
13 flows, the only times there's an exceedence. And if it's
14 arsenic or lead or something, I don't see these trace
15 metals typically being completely mobile.

16 I can't refute what you're saying, that's
17 theoretically possible. It's just my experience is that
18 there is a conservative transport calculation tends to be
19 what the word says. It's very conservative. That you're
20 assuming that there is no chemical reaction occurring
21 along the flow path.

22 In groundwater, yeah, but we're talking
23 about a permeable fault zone. But if you do the
24 calculations, the travel time is not like we're talking
25 about, you know, metres an hour or something. These are

1 still very relative to kinetics absorption, are still
2 relatively small velocities.

3 I -- I don't know what to say. I think
4 you have a theoretical argument, but my experience speaks
5 against it. I think my experience says that those low
6 concentrations -- that those types of metals at low
7 concentrations don't behave conservatively normally.

8 MR. ROCHELLE DRUMM: All right, thank
9 you.

10 THE FACILITATOR: Thanks very much.
11 Anything further?

12

13 (BRIEF PAUSE)

14

15 UNIDENTIFIED SPEAKER: Yeah, just one (1)
16 further question. I -- I mean, I understand that this
17 discussion, there's still time allocated tomorrow for
18 people to probably reflect on all of this information. I
19 think, David, you've -- you've done an admirable job of
20 trying to respond to the -- the questions and provide
21 information, so certainly having your consultants here
22 has been helpful.

23 Just going back to the issue of the
24 regulations and acknowledging the fact that Canadian Zinc
25 is looking for or proposing something that does --

1 doesn't quite fit into the box that is currently there
 2 but is -- fits into a box that is being considered or
 3 under consideration, as you mentioned, via INAC through
 4 their draft -- or the Land and Water Board.

5 And I'll give kind of a what-if scenario.
 6 If that change in regulations was not possible and
 7 Canadian Zinc was required to comply with the existing
 8 guidelines and meet the compliance guidelines that are
 9 currently in place at end-of-point discharge, what -- how
 10 does that affect the viability of your -- of your
 11 operation?

12 Is -- I mean, how big a deal is that, I
 13 guess, simply put, in terms of the grand scheme of
 14 things?

15 MR. DAVE HARPLEY: Dave Harpley. First
 16 of all, I guess I'm not sure why the Water Board would
 17 not be amenable to looking at that approach given that
 18 their own internal research indicates it's the direction
 19 they should be heading in.

20 Second would be, if for some unknown
 21 reason they couldn't go in that direction, then the next
 22 step would be to consider end-of-pipe EQC that are
 23 different on a monthly basis that tries as best as it can
 24 to adjust for the seasonality in the receiving
 25 environment.

1 I don't think that's the best approach
2 because, as I explained before, it's too rigid. It
3 doesn't allow for modifications based on actually what's
4 happening in the receiving environment, but it would be
5 better than one (1) set of numbers for the whole year,
6 which would be restrictive to the operation and would
7 also necessarily mean additional impacts on the receiving
8 environment.

9 THE FACILITATOR: Thanks for that answer.
10 We're about 4:30 right now. Our agenda says call it
11 quits at 4:45. So if there's any further questions on
12 this topic we'll address them. Thanks, Paul.

13 MR. NATHAN RICHEA: Thank you. It's
14 Nathan Richea, with INAC Water Resources. I was just
15 trying to follow the -- I guess the discussion that was
16 going on about the in-stream objectives. I don't know.
17 I guess I just -- I -- I'm lost. And I was just curious.
18 I know we're almost at the end of the day today, so
19 obviously we need to -- I need to do some thinking
20 overnight.

21 I wonder if it would be possible the first
22 thing tomorrow morning we could kind of maybe -- it's
23 been really helpful to kind of -- you know, we had a
24 diagram sort of how the water treatment plan works and
25 that kind of stuff. And it's been really helpful to sort

1 of put -- wrap our heads around things.

2 I'm just curious because we talked about,
3 you know, changing in sort of the regulatory paradigm, I
4 guess, for this and having EQCs for end-of-pipe and then
5 EQC's sort of -- or not -- some kind of criteria for --
6 for the receiving environment. And it's relatively new
7 to, I guess, a lot of the reviewers here.

8 And then we talked about the in-stream
9 objectives, and some will be there that will be sort of
10 met with others or presented, but they show that they may
11 or may not -- may not be achievable in how that works.
12 I'm -- I'm just trying to figure out sort of how if we
13 maybe -- if Canada Zinc could kind of go through and
14 describe their process maybe for the first half hour or
15 something tomorrow morning. And then everyone's sort of
16 on the same page so that if we do start asking questions
17 or whatever, we're not getting pulled in different
18 directions or -- or different areas.

19 I -- I know it's -- the information, you
20 know, it's here and -- but just a lot of us are just
21 trying to wrap our head around how this could potentially
22 work and -- and how. And as we go, sometimes we don't
23 fully understand I guess maybe the concept, and then it
24 causes more confusion as you look at the next item,
25 right. And so I think some of us are having some

1 difficulty. Just a suggestion for tomorrow.

2 THE FACILITATOR: That's a fair and
3 reasonable request. Is Canadian Zinc amenable to some
4 type of brief, half hour presentation to go over the
5 water quality criteria tomorrow morning?

6 MR. DAVE HARPLEY: Dave Harpley. We are
7 happy to do whatever people feel will be useful. I
8 would, however, suggest that perhaps the best way to
9 prepare for that discussion would be for parties to read
10 again Chapters 6 and 8 of the DAR that explain the
11 development of the water balance and also have schematics
12 of the water balance for both summer and winter, to
13 explain how the thing actually functions and -- and how
14 the whole water management strategy was developed.

15 And then Section 8 takes you through the
16 review of generic water quality guidelines and indicating
17 those metals that are close to or above some of those
18 guidelines, and, therefore, why we proceeded to develop
19 site-specific guidelines for those key metals.

20 And then, after you've read that and
21 understand -- understood that, then come and look at the
22 appendix J of the IR response and -- and the regulatory
23 instrument. I think that would be the best preparation
24 you can have for discussion in the morning.

25 THE FACILITATOR: Thank you. So I'll

1 take that as a, yes, you are willing to do a presentation
2 as long as we all do a bit of homework apparently, so, a
3 couple chapters of reading should prepare us for that.

4 MR. NATHAN RICHEA: Thank you. It's
5 Nathan Richea, with INAC Water Resources. I will commit
6 to doing some reading tonight. And thank you for
7 agreeing to sort of doing that for us tomorrow.

8 I guess I don't want to say anything
9 further because we might as well just wait for tomorrow.
10 There are some things that sort of are deviating from
11 sort of standard process, and it's hard for us to kind of
12 wrap our heads around it. And it's not that we've sort
13 of not done our homework. It's just typically there's
14 objectives for -- typically there's objectives for --
15 sorry. Typically there's objectives for a number of
16 parameters that are potential to have some adverse
17 effects in the environment, and we'll -- I'll look at
18 this information tonight and get back tomorrow. If
19 anyone else has anything.

20

21 (BRIEF PAUSE)

22

23 THE FACILITATOR: Oh, sorry. Was I
24 seeing things? Well, that's a good sign that it's time
25 to wrap things up. Okay, with that, I -- I hope

1 everybody -- all participants here found today's
2 discussion and question-and-answer useful. And I thank
3 everybody for participating. I thank the parties and the
4 developer and consultants for being here.

5 Tomorrow I'll make -- we'll have our van
6 on time at the Explorer so we should be able to start at
7 9:00 a.m. tomorrow.

8 MS. ANNE WILSON: It's Anne Wilson here.
9 A quick question.

10 THE FACILITATOR: Go ahead, Anne.

11 MS. ANNE WILSON: Are we scheduling the
12 AEMP for between 11:00 and 12:00? I would just like to
13 confirm the time so I can bring in another EC person.

14 THE FACILITATOR: Yes, I can confirm
15 that. We'll discuss AEMP between 11:00 and 12:00
16 tomorrow.

17 MS. ANNE WILSON: Anne Wilson. Thank
18 you.

19 THE FACILITATOR: Thanks for your
20 participation, Anne, and we'll talk to you tomorrow. I'd
21 like to confirm maybe the number of people that will be
22 using the van tomorrow just so we -- we know if we need
23 one (1) or two (2). Thanks very much.

24

25 --- Upon Adjourning

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Certified Correct

Wendy Warnock, Ms.