

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MACKENZIE VALLEY ENVIRONMENTAL  
IMPACT AND REVIEW BOARD  
  
GIANT MINE REMEDIATION PROJECT  
ENVIRONMENTAL ASSESSMENT 0809-001  
  
TECHNICAL SESSION

The Facilitators:     Alan Ehrlich  
                           Paul Mercredi  
                           Chuck Hubert

HELD AT:  
  
                           Yellowknife, NT  
                           October 18, 2011  
                           Day 2 of 5

	APPEARANCES	
1		
2	Alan Ehrlich	) MVEIRB staff
3	Paul Mercredi	)
4	Jessica Simpson (np)	)
5	Darha Phillpot (np)	)
6	Doug Ramsey	) Tetrattec
7	Dave Tyson	) Tetrattec
8	Cesar Oboni	)
9	Lukas Arenson	) BGC
10	Jack Seto (np)	) BGC
11		
12	Joanna Ankersmit	) AANDC
13	Lisa Dyer	) PWGSC
14	Adrian Paradis	) AANDC
15	Dr. Ray Case	) GNWT
16	Mark Cronk	) PWGSC
17	Daryl Hockley	) SRK
18	Darren Kennard	) Golder
19	David Knapik	) AECOM
20	Yose Cormier	) AANDC
21	Henry Westermann	) PWGSC
22	Katherine Silcock	) AANDC
23	Erika Nyssonen	) GNWT
24	Dave Abernethy	) PWGSC
25	Bruce Halbert	) SENES

1 LIST OF APPEARANCES (Cont'd)

2	Rudy Schmidtke	) AECOM
3	John Hull	) Golder
4	Octavio Melo	) AANDC
5	Michael Nahir	) AANDC
6	Dan Hewitt	) SRK
7	Doug Townson (np)	) PWGSC
8	Robert Boon	) AECOM
9	Kyla Kirk	) AECOM
10	Hilary Machtans	) Golder
11	Nathan Schmidt	) Golder
12	Till Freihammer	) AECOM
13	Goro Wollett	) AECOM
14	Arthur Cole	) Golder
15	Greg Newman	) NGI/SRK
16	Tony Brown	) SENES
17		
18	Chris Greencorn	) City of Yellowknife
19	Dennis Kefalas	)
20	Jeff Humble	)
21		
22	Morag McPherson	) DFO
23	Sarah Olivier	)
24	Rick Walbourne	)
25		

1 LIST OF APPEARANCES (cont'd)

2 Amy Sparks ) Environment Canada

3 Lisa Lowman )

4

5 France Benoit ) Alternatives North

6 Kevin O'Reilly )

7 Ed Hoeve (np) ) EBA Engineering

8 Bill Horne ) EBA Engineering

9

10 Todd Slack ) YKDFN

11 Randy Freeman (np) )

12 Lukas Novy ) ARKTIS

13

14 Ricki Hurst ) DPRA Canada

15

16

17

18

19

20

21

22

23

24

25

1	TABLE OF CONTENTS	
2		PAGE NO.
3	List of Undertakings	6
4	List of Commitments	7
5		
6	Opening Remarks and recap	8
7		
8	Presentation by Developer	
9	re Water Treatment and Management	50
10	Question Period	99
11		
12	Certificate of Transcript	
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

	LIST OF UNDERTAKINGS		
	NO.	DESCRIPTION	PAGE NO.
1			
2			
3	1	To provide the interim report on the	
4		freeze optimization study	259
5			
6			
7			
8			
9			
10			
11			
12			
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

1	LIST OF COMMITMENTS		Page 7
2	NO.	DESCRIPTION	PAGE NO.
3			
4			
5			
6			
7			
8			
9			
10			
11			
12			
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

1 --- Upon commencing at 9:08 a.m.

2

3 THE FACILITATOR EHRLICH: It was a  
4 slightly long minute. Good morning, everybody. Nice to  
5 see those of you who were here yesterday return for  
6 further engagement.

7 I see that there are some new people. I'm  
8 trying to decide how much of yesterday's opening comments  
9 to repeat. Because of that, I need to understand how  
10 many people are new.

11 Who was not here yesterday, please raise a  
12 hand high. Okay. In that case, I'll -- I'll keep it  
13 pretty short because what I needed to say was mostly  
14 understood yesterday.

15 The washrooms are down the hall. There's  
16 a key next to a little dish at the end of the bar there  
17 by -- by Yose. The red one -- the red one doesn't work  
18 if you're really in rush, right. I thought if the  
19 incentive was good enough with all these engineers they'd  
20 make it work. All right.

21 The order of questioning is going to be  
22 about the same as yesterday, which is going to be  
23 informal. I remind everyone this is not a Review Board  
24 hearing, because the Review Board is not present.

25 It is an informal technical session, but



1 it's being transcribed for the record so that we do have  
2 something in terms of evidence and you can track back.  
3 And also that means that your discussion would be  
4 searchable because the transcript that we get is -- is  
5 searchable.

6                   So you hit control 'F', and you can find  
7 whatever word you want. This makes it a very valuable  
8 tool for keeping track of where the issues are.

9                   I'm going to touch briefly on where we  
10 were at yesterday. Rather than take home commitments and  
11 undertakings, we tried to have things resolved during  
12 this week where possible. And as a result, there are a  
13 few things that happened.

14                   There's a short list of these, and I'm  
15 going to ask Lisa Dyer who reported them back to the  
16 group at the end of yesterday, to correct me if I'm --  
17 I'm off base on any of these.

18                   But one (1) of them was a commitment for  
19 the Giant Team to provide the MSDS sheets for three (3)  
20 coolants to the Yellowknives Dene First Nation. And it's  
21 -- have -- has that been done?

22                   MS. LISA DYER: Done.

23                   THE FACILITATOR EHRLICH: You were going  
24 to do that, give them a physical copy of the sheets  
25 today, and a digital copy for our public registry as

1 well.

2 MS. LISA DYER: That has been done.

3 THE FACILITATOR EHRLICH: So to the  
4 Yellowknives, Todd, you're -- you're okay with respect to  
5 the -- the MSDS sheets on the coolants?

6 MR. TODD SLACK: Yeah, it's done.

7 THE FACILITATOR EHRLICH: Great. That  
8 was Todd Slack. That raises a very good point here.  
9 Although -- although I think I'd be telling this mostly  
10 to the people who were here yesterday, I'll remind the  
11 people who were.

12 Please start with your name, and -- and  
13 perhaps the organization that you're speaking on behalf  
14 of if it's not eminently clear because the -- the -- it's  
15 important for transcription.

16 The general layout of the room, for the  
17 benefit of the new people, is we've got Review Board  
18 staff and Review Board consultants. Then in the corner  
19 there we've got mostly DFO and Environment Canada.  
20 Alternatives North. And Alternatives North consultants  
21 are at the end of the table there. The Yellowknives Dene  
22 First Nation is over there.

23 And I know there's going to be a little  
24 bit of jostling, but in general the table facing me is  
25 the Giant Team with various supporting cast members in

1 the -- in the back.

2                   And I know that there are other people at  
3 the back of the room, at well. What I said yesterday  
4 was, if you're not at the table due to our space  
5 limitation, these seats are comfy but big, they don't  
6 leave a lot of extra room. If you're not at the table,  
7 then -- and you have questions to ask, please feel free  
8 to come up and use a microphone. When you speak, you  
9 have to use a microphone.

10                   Sorry, oversight. The City of Yellowknife  
11 is next to the Yellowknives Dene First Nation there, and  
12 I -- I didn't want to accidentally lump in the City with  
13 the developers either.

14                   So one (1) of the things that I emphasized  
15 yesterday was this is informal and we'd like to try to  
16 keep it construction. Adversarial is not usually the  
17 most constructive approach we can take. The Giant Team  
18 has demonstrated quite an openness to, you know, tackle  
19 the issues and questions that are raised, and we -- we'd  
20 like to -- to keep the good vibes flowing that way. So,  
21 please remember this when -- when you're taking the  
22 position. I mean, this isn't a hearing, and -- and this  
23 doesn't need to be an adversarial situation.

24                   If the media show up again today, I'll  
25 tell them what I said yesterday, which was: Please don't

1 turn this into a media grilling. The appropriate place  
2 for interviews here would be either in the hallway, or in  
3 a different room at the breaks, at lunchtime, or  
4 afterward. But it's open to the public, so anyone who  
5 wants to sit in is certainly welcome to -- to stay and  
6 observe.

7 But it is primarily a technical exchange  
8 between experts and parties, and so the -- the subject  
9 matter is pretty technical. But I don't think it's going  
10 to get much more technical than yesterday, and everyone  
11 survived that, so that's -- that's all right.

12 There is a sign-in sheet. Do you know  
13 where the sign-in sheet is?

14 MR. CHUCK HUBERT: It will be distributed  
15 after the break.

16 THE FACILITATOR: Okay. The sign-in  
17 sheet will go around after the break. It's really  
18 important for the transcription. If you don't want your  
19 name changed in ways that you may not like, please make  
20 sure that you put your own name on the sign-in sheet,  
21 because that's going to wind up going to Wendy Warnock  
22 over there who's doing our -- our transcription, and it  
23 really helps a lot for her to understand who's in the  
24 room.

25 Wendy, do you need a different sign-in

1 sheet for day 1? Because I -- you know, if there's  
2 anyone who was here on day 1 and didn't -- anyone who was  
3 here yesterday and didn't sign in, that sign-in sheet  
4 that's in front of Wendy, please make an effort during  
5 the break to sign in.

6 In terms of today's agenda, you recall  
7 that our -- our week overall -- yesterday was freezing  
8 underground, today is water treatment and management, and  
9 these -- these are -- are broad subjects. But surface  
10 remediation will be on Wednesday, risk assessment will be  
11 going on on Thursday, and long-term monitoring,  
12 evaluation and management will be going on on Friday.

13 There is necessarily overlap between these  
14 subjects, because the project exists as a whole in the  
15 real world, and so a certain amount of drift in the  
16 discussion is inevitable, but where we can keep things on  
17 the day they seem to mostly belong, we're going to try  
18 and do that.

19 As well, please try to stay within the  
20 scope of the environmental assessment. Remember that the  
21 scope of the environmental assessment isn't all the  
22 impacts of gold mining at Giant Mine; it's the potential  
23 impacts -- it focuses on the potential impacts of the  
24 project that is proposed, the one that is being applied  
25 for now. That's what the Board has to determine, whether

1 or not there are likely to be significant adverse  
2 environmental effects for it.

3 I'm not going to go over where we are in  
4 the process; I did that yesterday. Today's agenda, in  
5 short, has the developer's presentation on water, but  
6 we've got a little bit of preamble and a little bit of  
7 overlap from yesterday to take care of, and then there'll  
8 be a presentation on water. The overlap's just going to  
9 be a -- a verbal summary.

10 Then we've got questions from parties.  
11 And there'll be a break at 10:20, we're going to stop for  
12 lunch at five (5) minutes to noon, start up again at  
13 1:15. There'll be a break in the afternoon at 2:30,  
14 start up again at 2:45, and we'll begin the wrap-up at  
15 4:45. I will try very hard to have you out of here by  
16 five o'clock. If we did it yesterday, I'm pretty sure we  
17 can -- we can pull it off again today.

18 I'd like to also introduce my colleagues  
19 for the benefit of those who have not been in the room  
20 before. Paul Mercredi, you'll remember chaired some of  
21 yesterday. He's an environmental assessment officer. So  
22 is Chuck Hubert to my left, who's an environmental  
23 assessment officer who will be chairing some of this  
24 morning. So I'll be jumping in and out as chair and with  
25 the odd question, but they're both going to be co-chairs

1 at different times.

2 I think I want to do a round robin,  
3 because there are enough faces at the table that weren't  
4 here, so that I don't want to assume everyone knows each  
5 other, okay? So perhaps we can start with you, Cesar,  
6 since Chuck -- Chuck and I are notorious already.

7 MR. CESAR OBONI: So Cesar Oboni still,  
8 and I doing you -- will ask question on the risk  
9 assessments.

10 MR. LUKAS ARENSEN: Lukas Arenson, with  
11 BGC Engineering, and I'm with the Board, expert -- Board  
12 expert.

13 MR. DAVE TYSON: Dave Tyson. I'm with  
14 Tetratec and expert for the Board.

15 MR. DOUG RAMSEY: Doug Ramsey, also with  
16 Tetratec, and an expert for the Board.

17 MR. RICK WALBOURNE: Rich Walbourne,  
18 Fisheries and Oceans Canada.

19 MS. MORAG MCPHERSON: And Morag  
20 McPherson, a fish habitat biologist with Fisheries and  
21 Oceans.

22 MS. SARAH OLIVIER: Sarah Olivier,  
23 environmental assessment analyst with Fisheries and  
24 Oceans.

25 MS. LISA LOWMAN: Lisa Lowman, with

1 Environment Canada.

2 MS. AMY SPARKS: Amy Sparks, with  
3 Environment Canada.

4 MS. FRANCE BENOIT: France Benoit, with  
5 Alternatives North.

6 MR. KEVIN O'REILLY: Kevin O'Reilly,  
7 Alternatives North.

8 MR. BILL HORNE: Bill Horne, EBA  
9 Engineering, representing Alternatives North.

10 MR. LUKAS NOVY: Lukas Novy, Arktis  
11 Solutions, and technical advisor for the Dene.

12 MR. TODD SLACK: Todd Slack, pardon me,  
13 staff member, Yellowknives Dene.

14 MR. DENNIS KEFALAS: Dennis Kefalas,  
15 Director of Public Works for the City of Yellowknife.

16 MS. KYLA KIRK: Kyla Kirk, AECOM.

17 MR. BOB BOON: Bob Boon, AECOM.

18 MR. NATHAN SCHMIDT: Nathan Schmidt, with  
19 Golder Associates doing the Baker Creek and surface water  
20 components.

21 MR. BRUCE HALBERT: Bruce Halbert, with  
22 SENES Consultants, technical advisor to the project team.

23 MR. MARK CRONK: Mark Cronk, with the  
24 Giant Mine Project Team here in Yellowknife.

25 MS. LISA DYER: Lisa Dyer. Giant Mine



1 Project Team.

2 MS. JOANNA ANKERSMIT: Joanna Ankersmit,  
3 Giant Mine Project Team.

4 DR. RAY CASE: Ray Case, GNWT,  
5 representative on the Giant Mine remediation team.

6 MR. ADRIAN PARADIS: Adrian Paradis,  
7 Giant Mine remediation project team.

8 THE FACILITATOR EHRLICH: I'm also going  
9 to ask the people who are not at the table to approach a  
10 microphone and let people know who you are and what  
11 you're doing.

12 MS. KATHERINE SILCOCK: Katherine  
13 Silcock, Giant Mine remediation team.

14 MS. ERIKA NYSSONEN: Erika Nyssonen,  
15 GNWT, with the project team.

16 MR. DAVE ABERNETHY: Dave Abernethy, with  
17 Public Works, on the Giant Mine team.

18 MR. NORM QUAIL: Norm Quail, with Public  
19 Works, Giant Mine team.

20 MR. RUDY SCHMIDTKE: Rudy Schmidke,  
21 AECOM, Giant Mine Team.

22 MR. TONY BROWN: Tony Brown, with SENES  
23 Consultants, part of the Technical Advisor Team.

24 MR. DARYL HOCKLEY: Daryl Hockley, SRK,  
25 Technical Advisor.

1                   MR. MARK PALMER:    Mark Palmer, Giant Mine  
2 Remediation Team.

3                   MR. HENRY WESTERMANN:   Henry Westermann,  
4 Giant Mine team.

5                   MR. MIKE NAHIR:       Mike Nahir, Giant Mine  
6 remediation team.

7                   MR. OCTAVIO MELO:     Octavio Melo, Giant  
8 Mine team.

9                   MR. TILL FREIHAMMER:   Till Freihammer,  
10 Giant Mine team, AECOM.

11                  MR. DARREN KENNARD:    Darren Kennard,  
12 Golder Associates, Giant Mine team.

13                  MR. GREG NEWMAN:     Greg Newman, working  
14 with SRK as a technical advisor.

15                  MR. RICKI HURST:     Ricki Hurst with DPRA  
16 Consultants, supporting the Giant Mine Team.

17                  MR. RANDY FREEMAN:    Randy Freeman,  
18 Yellowknives Dene.

19                  MR. YOSE CORMIER:    Yose Cormier, with  
20 Aboriginal Affairs Northern Development.

21                  MR. CHRIS GREENCORN:   Chris Greencorn,  
22 the City of Yellowknife.

23                  THE FACILITATOR EHRLICH:   Thank you,  
24 everybody. Now I want to briefly talk about some of the  
25 -- the homework that the Giant team took back. We've

1 mentioned one (1) of the things, the MSDS fact sheets,  
2 which both Giant and the Yellowknives have -- have  
3 confirmed is -- is done and is okay.

4           There was a question regarding groundwater  
5 level and the level of Great Slave Lake. I'm going to  
6 ask the Giant team, have you had a chance to consider --  
7 what was happening was parties were being a bit confused  
8 because they were -- they were hearing the -- the -- the  
9 levels in terms of feet below surface at Giant Mine, but  
10 in terms of understanding the hydrological big picture,  
11 they thought it would be helpful to know where the lake  
12 was, and the lake is relative to sea level, and Giant  
13 team went back to sort it out. And -- so I see some  
14 nodding. It sounds like they've got a response.

15           Mark Cronk, please go ahead.

16           MR. MARK CRONK: Mark Cronk, Giant Mine  
17 team. I'd like to provide three (3) elevations, for the  
18 record. These are approximately geodetic mean sea level  
19 -- above mean sea level elevations.

20           Great Slave Lake is about 156 metres. The  
21 surface ground elevation around the C shaft area, close  
22 to where the Freeze Optimization Study, is 167 metres.  
23 And the current mine level is minus 77 metres.

24           THE FACILITATOR EHRLICH: Which party was  
25 it that asked the question about the elevation of Great

1 Slave Lake? Alternatives North?

2 MR. KEVIN O'REILLY: Thanks, Alan. Kevin  
3 O'Reilly, Alternatives North.

4 So, when Mark says the current mine water  
5 levels, is that the seven fifty (750)? I just wanted to  
6 confirm that.

7 MR. MARK CRONK: Yes, seven fifty (750)  
8 is an approximate feet below surface, but it's a loose --  
9 oh, sorry, Mark Cronk, Giant Mine team.

10 Yes, Kevin. The mine historically  
11 operated in feet. The seven fifty (750) level is  
12 approximately 750 feet below surface. The water level is  
13 just below that, and it converts to minus 77 metres  
14 geodetic.

15 MR. KEVIN O'REILLY: Thank you.

16 THE FACILITATOR EHRLICH: Thanks. The  
17 next take home task that happened was a discussion  
18 between three (3) experts. That was to take place here  
19 this morning.

20 And rather than my trying to summarize  
21 what the subject was or how it went, I'm going to ask the  
22 three (3) people involved, starting with the Giant team.

23 Did you have the opportunity to hold that  
24 meeting, or, Lukas, are you the only person in that  
25 meeting who's -- who's in the room right now?

1                   MR. LUKAS ARENSEN:    No, everybody's --  
2   everybody's here -- Luk -- Lukas Arenson.  Everybody's  
3   here, but I -- I can report on the outcome.

4                   So we had Greg, Daryl, and actually Bill  
5   Horne also joined -- joined the discussion, and I think  
6   it was -- it was a productive discussion.

7                   We -- we got to the point, and there's no  
8   further action.  I think we resolved the -- the problem  
9   in terms of the contingency that is currently in the plan  
10  will -- is enough to -- to account for that ice lensing,  
11  which may occur -- may or may not occur, so we -- we  
12  discussed that.

13                   But I'll give it over to -- to Bill  
14  because we came up -- we discussed his problem on the  
15  wetting, and the -- and the pressure, and we came up with  
16  some ideas on that.

17                   THE FACILITATOR EHRLICH:    Just before you  
18  start going on the ideas, I want to be sure that  
19  everyone, including the new people, have an understanding  
20  of what we're talking about.

21                   You mentioned that there was ice lensing.  
22  Did that have to do with ice lensing inside -- inside  
23  rocks, and -- and expansion, and the results on  
24  structural integrity?

25                   That was my recollection, but I covered a

1 lot of ground yesterday.

2 MR. LUKAS ARENSEN: Sorry. Yes. Yes, I  
3 can confirm that yeah the -- the problem we discussed is  
4 the potential of ice lensing around the frozen shaft, or  
5 the -- the frozen core over the long term.

6 So that at some point water might migrate  
7 or is already there and form larger ice lenses, and then  
8 result in structural integrity, in particular when you  
9 didn't get to thaw, what would the impact be on -- on  
10 that.

11 And does it effect or not any of the  
12 freeze pipes, and the integrity of the system. Lukas  
13 Arenson.

14 THE FACILITATOR EHRLICH: Now, I -- I  
15 want to be clear; we've got two (2) different engineering  
16 Lukases; and that's Lukas Arenson who's the consultant  
17 for the Review Board.

18 So now over to the Giant team. Do you  
19 want to add anything to Lukas' description of your  
20 discussion? Also, Lukas has indicated he's satisfied  
21 with the outcome and you guys are on the same page. Are  
22 you of the same view?

23 MR. GREG NEWMAN: Greg Newman. Yes, we  
24 agree with Lukas' summary.

25 THE FACILITATOR EHRLICH: In that case,

1 I'd like to thank you all very much for taking it  
2 outside, because I -- I have no doubt it was probably a  
3 technical heavyweight kind of thing, and it -- it sounds  
4 like it got tidied up neatly.

5                   That's exactly what happens when technical  
6 sessions are working. Instead of, you know, a huge  
7 volley of paper and many weeks of correspondence, a short  
8 bit of dialogue with the right people in the right places  
9 can -- can get us past things that -- that look like  
10 issues and turn out to be non-issues. So I -- I really  
11 appreciate that.

12                   There was one (1) other person who was  
13 involved in that discussion. Bill Horne, there he is,  
14 consultant to Alternatives North.

15                   MR. BILL HORNE: Yeah, we also had some  
16 discussions about the expansion due to freezing of the --  
17 of the dust, and it was -- I believe there was agreement  
18 with everybody that there -- there is a risk of -- of  
19 fracturing the rock.

20                   The dust is going to expand if we -- if we  
21 wet it and freeze it. There's -- there's no doubt we're  
22 going to get expansion of it.

23                   There are -- is some unknowns how that  
24 dust is going to expand, which direction it's going to  
25 expand in, where the stresses or -- and deformation is

1 going to occur.

2 I think the conclusions were that some  
3 detailed monitoring is required during the freezing  
4 process, whether that's maybe some -- some tests in the  
5 laboratory, or -- or probably better is to monitor some  
6 of the chambers as they're freezing.

7 There's also unknowns in the whole wetting  
8 process, and we did talk about some -- some potential lab  
9 -- laboratory tests to look at that, but there's still  
10 some unknowns. Darren Kennard suggested that we -- we do  
11 some monitoring of the actual chambers when they're  
12 freezing, some extensometers (phonetic), and see -- see  
13 what's actually going on with the rock.

14 I'm not quite sure whether that's going to  
15 be Chamber 10, or it's part of the FOS Study, or one (1)  
16 of the first chambers to -- to be frozen.

17 THE FACILITATOR EHRLICH: At the meeting,  
18 were there any commitments to undertake further work like  
19 -- I mean, you've mentioned laboratory testing was  
20 discussed. Were there any commitments to do it, or is  
21 this something that you're going to pursue further in an  
22 Information Request, or is this something that you're  
23 satisfied with the answers that you've got and don't need  
24 to pursue further in the Environmental Assessment?

25 I just want to understand -- it sounds



1 like everyone agreed on the -- the theory at the -- the  
2 meeting. Does that tie it up or are there still some  
3 loose ends?

4 MR. BILL HORNE: I believe the Giant team  
5 did make some commitments. I don't want to speak for  
6 them, so maybe Darren or Greg.

7 THE FACILITATOR EHRLICH: Okay. And  
8 please start with your name. The previous speaker was  
9 Bill Horne for Alternatives North.

10 MR. GREG NEWMAN: Greg Newman here. I --  
11 I think my understanding was our commitment was that yes,  
12 the -- the wetting process would require a study phase,  
13 but I'm -- I did not think we had committed to anything  
14 specific in terms of any instrumentation plans or  
15 anything concrete, but that we agreed that it was  
16 entering a study phase.

17 THE FACILITATOR EHRLICH: Mr. Horne, is  
18 that -- and Lukas Arenson, is that what you got out of  
19 it?

20 MR. BILL HORNE: Yeah. Bill Horne. I  
21 heard some commitments to -- to some monitoring during  
22 the freezing process. We could deal with it in the  
23 Information Requests, so maybe you can have some time to  
24 think about it if you want.

25 THE FACILITATOR EHRLICH: May I encourage

1 you -- your microphone is still on, Mr. Horne. May I  
2 encourage you to -- since you're both in the same place  
3 right now, if you're comfortable with meeting during the  
4 break and just clarifying exactly what those things are.

5           If they can be dealt with easily with  
6 commitments that the Giant team is prepared to make here,  
7 it could save a fair bit of paperwork, effort, and time.  
8 If it's something -- you -- you still have the option of  
9 doing it through Information Requests.

10           The round of Information Requests is  
11 coming up, but I -- I feel strongly that whatever can be  
12 resolved here should be resolved here. I -- I'm going to  
13 ask you to -- to give it a try.

14           Kevin, you are -- you had your hand up  
15 next and then Adrian.

16           MR. KEVIN O'REILLY: Thanks, Alan. Kevin  
17 O'Reilly here with Alternatives North. I don't want to  
18 speak completely for Bill, but I -- I think part of this  
19 discussion flows into what we might hear from Lisa in  
20 terms of what the content and structure of this  
21 Environmental Management Monitoring Plan, whatever  
22 they're going to call it, is going to look like.

23           If the -- if the developer is able to  
24 clearly identify what the performance criteria are for  
25 various things, if there's specific pieces of research

1 that need to -- to be done in a timeline and some  
2 engagement that can lead them to specific performance  
3 criteria on this topic, including wetting, I think we  
4 might be happier. But without seeing the -- the details  
5 of that, I don't think we're going to be able to resolve  
6 it here today.

7 Is -- Bill, do you want to add anything to  
8 that?

9 MR. BILL HORNE: No, I agree with that.  
10 I think we need a detailed plan for what is going to be  
11 monitored and how it's going to be implemented. Bill  
12 Horne.

13 THE FACILITATOR EHRLICH: And of course,  
14 day 5 of the program here is dealing with monitoring  
15 evaluation and management. So there'll be an opportunity  
16 to do that.

17 My concern about leaving this particular  
18 discussion in the air until then is our -- our -- are the  
19 right people on the Giant team going to be here at the  
20 time, who are involved in this discussion, enough to --  
21 to know how to follow it up if Alternatives North doesn't  
22 get what they need from -- from day 5?

23 I -- I ask this because the Giant team has  
24 said that it will be rotating its -- its experts and not  
25 everyone will be here on all days.

1 MS. LISA DYER: Yeah, we will be meeting  
2 with the parties in a break, and Nike -- Mike Nahir will  
3 be there and we will come back to you with any  
4 commitments or approaches that we'll be taking. Lisa  
5 Dyer.

6 THE FACILITATOR EHRLICH: Thank you for  
7 that. Lukas Arenson, you had a comment?

8 MR. LUKAS ARENSEN: Yeah. Lukas Arenson.  
9 Yeah, I think what -- we just basically need to see some  
10 commitment of doing the testing, because -- I mean, we  
11 all realized during the meeting it's complex and we don't  
12 really know what exactly to monitor. And -- and we -- I  
13 don't think we expect that from the developer to come up  
14 with a -- with a detailed monitoring plan within the next  
15 two (2) hours.

16 But we -- we want to see -- I think that  
17 that's kind of an agreement I -- I thought we had, that  
18 we -- we see that commitment, and we probably want that  
19 on the record. So, if we could just -- that could be  
20 done. If you agree.

21 MS. LISA DYER: Lisa Dyer. And Mike  
22 Nahir here will come back with commitments after the  
23 parties have had a chance to speak.

24 THE FACILITATOR EHRLICH: That's exactly  
25 what we love to hear. Because it -- it sounds like

1 there's -- this is something that can be resolved.

2 Great.

3                   Okay. The next item. There was a task to  
4 come up later, which was to give an interim report on the  
5 conclusions from the freeze optimization study, unless  
6 I'm mistaken.

7                   Do I have that right?

8                   MS. LISA DYER: We took that on. Lisa  
9 Dyer. We took that on as an undertaking, and we have  
10 made a commitment to get that report to you before  
11 November 14th. We will get that you before November  
12 14th.

13                   THE FACILITATOR EHRLICH: Okay. That's  
14 just fine. And as I recall that was Undertaking Number  
15 1.

16                   Next item is: The Yellowknives Dene asked  
17 the Giant team what your criteria for success, or in  
18 their phrase, their met -- your metric for success would  
19 be. How would you know when your project has done what  
20 it is intended to do? And the Giant team said, We'll get  
21 back you.

22                   You were ready to speak on that at the end  
23 of yesterday. I preempted you to give the parties more  
24 time to question.

25                   Todd Slack, of the Yellowknives, did I

1 fairly characterize your question?

2 MR. TODD SLACK: Todd Slack, YKDFN. With  
3 one (1) addendum. With respect only to the frozen block;  
4 the criteria for other issues will follow.

5 THE FACILITATOR EHRLICH: Thank you for  
6 that -- that clarification. That's right.

7 Lisa, are -- are you able to give now the  
8 summary you were prepared to give yesterday afternoon?

9 MS. LISA DYER: Yes, I am. Lisa Dyer.  
10 And I think it was a very good question. We had some  
11 discussions yesterday about kind of thresholds and  
12 parameters, but I think when Todd tied it up into what is  
13 -- how are we going to measure success?

14 And I think that is an important point for  
15 everyone in this room.

16 And one of the points I'd like to make is  
17 that there is no single number that is going to measure  
18 the success of the frozen block. There is no magic  
19 number like forty-two (42).

20 What we're looking at, and what you heard  
21 yesterday, was we talked about the results of the freeze  
22 optimization study, and the information we've learned  
23 from that. We also talked about the underground  
24 stability, and the importance of some of the stability  
25 work, such as drift plugs and backfilling that needs to

1 be done. And we also talked about mine water level, and  
2 the importance in managing of that. And all these thin -  
3 - things play a factor into it.

4 Now, we have kind of performance for the  
5 design criterial of minus ten (10) for the shell, and min  
6 -- and once it reaches minus ten (10), we will be able to  
7 say that the frozen shell is in place, and we will move  
8 towards wetting. And once we reach the criteria of minus  
9 five (5), we will say that, Yes, we have created the fro  
10 -- frozen block, and can move towards passive.

11 But I also want to point out that if we  
12 have a certain temperature, is that success, that one (1)  
13 parameter alone? No. The reason being that we're -- and  
14 I want to refer us back to our objectives for  
15 remediation, and then I'll speak to this a little bit  
16 more. And our objections that we have in the developer's  
17 assessment report is that:

18 "We want to manage the underground  
19 arsenic trioxide dust in a manner that  
20 will prevent the release of arsenic to  
21 the surrounding environment, minimize  
22 public and worker health and safety  
23 risk during implementation, and be  
24 cost-effective and robu -- bust in the  
25 long term."

1                   So one (1) of the major things there is we  
2 want to prevent the release to the environment.

3                   We may be able to achieve those  
4 temperatures, but, again, if we see that there is arsenic  
5 seeping into the mine water, that is something else we  
6 have to monitor. That's not a success if we see that  
7 it's leaving the frozen blocks. So, we'll also be  
8 monitoring groundwater and looking at the levels there,  
9 again, if we see any instability in the other underground  
10 that could compromise the success of the frozen block.

11                   So, to be fair, there are many different  
12 parameters that we're going to look at. Not one (1) of  
13 them will define success, but looking at them together  
14 will allow us to know whether the system is working well.  
15 And this is part of why we're bringing in the  
16 environmental management system, is that there is,  
17 unfortunately, no easy number that, if we reach a six  
18 (6), or a forty-two (42), that we've made success. We  
19 need to look at all these parameters, we need to  
20 understand what they're telling us, and we need to be  
21 able to adjust and respond to them.

22                   And so the environmental management system  
23 that we are going to be presenting is an approach. We're  
24 not going to have numbers to look at and debate on  
25 Friday. What we're rolling out is an approach that



1 allows for engagement and input into how we manage the  
2 Giant Mine site from frozen block to water treatment.

3           And, unfortunately, there is no -- there  
4 is no simple parameter to meet for any of the aspects  
5 that we work on at Giant. Everything is interacted. So,  
6 we need to develop a management approach that allows us  
7 to focus on the objectives and develop criterias that  
8 truly allow us to measure success, and that's what we'd  
9 like to focus on more on Friday.

10           As I said, those numbers and those  
11 approaches, to truly be protective and answer the  
12 concerns of perpetual care and the concerns of protection  
13 of the environment, is something that we need to look at  
14 and work together, and it really is an approach for us to  
15 move together -- move forward and make sure that we have  
16 considered the issues at Giant and we're all aware of  
17 what we are monitoring and what those numbers can tell  
18 us.

19           THE FACILITATOR EHRLICH: Mr. Slack, will  
20 that hold you until Friday when it sounds like we're  
21 going to see more about the environmental management  
22 plan, bearing in mind that there will be a round of  
23 information requests after that? But over the next --  
24 well, I guess it's today and -- today, tomorrow, and the  
25 day after, we won't have yet seen that environmental

1 management plan, but it sounds like we're going to get  
2 introduced to it on Friday. And I see the Giant team is  
3 -- is nodding.

4 So will that answer do until then?

5 MR. TODD SLACK: Well -- Todd Slack,  
6 YKDFN. And while I appreciate the answer, and that is  
7 part of the final solution, the fact of the matter is, if  
8 there is no target for the parties to evaluate, at least  
9 initially, or the inspectors to evaluate initially, this  
10 throws this whole process into the qualitative in which  
11 it becomes -- it could become a -- a matter of  
12 interpretation between different parties. And especially  
13 an organization that has, I don't know, twenty-five (25)  
14 people here today vers -- our limited ability to provide  
15 comments, what happens is, in an evidence-based system,  
16 you get out-consulted, and in these matters where there  
17 is discretion, the First Nation ends up being  
18 disenfranchised.

19 That also brings into question the issue  
20 of the mandate. The inspectors -- and now I've been  
21 through three (3) significant closure plans in the last  
22 two (2) years. The inspectors want very clear criteria.  
23 Now, I understand there are a lot of different variables  
24 at play here, but we're talking about -- within that  
25 objective, we're talking about one (1) component: the

1 frozen block component.

2                   There will be other criteria, and we're  
3 going to talk about them over the next couple of days,  
4 but that one (1) criteria within that one (1) component,  
5 there has to be some sort of initial target. This is the  
6 simplest one, and I just -- it -- it makes me so  
7 uncomfortable that we're moving in a direction where it's  
8 entirely subjective in terms of evaluation. And when we  
9 talk about a lack of trust with an organization, an  
10 organization that essentially gets the same when it's  
11 succeeded, regardless of what the parties think, an  
12 organization that didn't think this required an  
13 environmental assessment, you know, there -- there's big  
14 concerns here, and it -- clarity is required at this  
15 point, not at some point down the road. These bigger  
16 issues in terms of long-term management and flexibility,  
17 yeah, that comes into play as part of the adaptive  
18 management plan.

19                   But right now there's got to be some goal  
20 that suggests what the target is, otherwise that broad  
21 objective is -- is only worth the paper it's printed on.

22                   THE FACILITATOR EHRLICH: Lisa Dyer...?

23                   MS. LISA DYER: Lisa Dyer. Thank you,  
24 Todd. We have stated the objectives of minus five (5)  
25 for the shell, and min -- or sorry, minus ten (10) for

1 the shell and minus five (5) for the block. And that  
2 will guide us into when we have successfully created the  
3 shell to move forward into wetting and the block.

4 Now, I appreciate your concern, and --  
5 about being inclusive in part and -- and the concerns.  
6 We can monitor kind of how the temperature is performing,  
7 but ultimately, if the frozen block is successful we stop  
8 seepage from the chambers. And so, yes, we can say that  
9 number -- ultimately, you're asking me what a success is;  
10 the success is when I stop seepage from that chamber; and  
11 I will know that by looking at water quality in the mine  
12 water.

13 MR. TODD SLACK: Sorry, can I jump in?

14 MS. LISA DYER: Yeah.

15 MR. TODD SLACK: There you have your  
16 criteria for success of the frozen block then. You set a  
17 seepage amount and that's -- that's the target criteria  
18 in this case. It -- apparently it's zero seepage. Or if  
19 you wanted to use a temp -- you can use both in terms of  
20 your target -- target of success.

21 And then the adaptive management, which,  
22 you know, I understand you're not ready to talk about,  
23 that comes in subsequently and gives you the flexibility  
24 to respond. But if it's zero seepage, hey, that's the  
25 criteria, that's the target. Sorry, Todd Slack, YKDFN.

1 MS. LISA DYER: And I -- and I appreciate  
2 that, Todd, your -- your input. Again, we are looking at  
3 that and we -- you know, zero is maybe unrealistic in the  
4 short-term. We're going to be working towards that. And  
5 so what we need to do is, as I said, there are several  
6 things that we need to look at, and this is part of the  
7 environmental management system, is we are asking to  
8 create the future.

9 I know that people feel that up to this  
10 time that maybe there hasn't been the engagement in  
11 making some of these decisions to move forward. And what  
12 we're asking is that we're not going to come here and say  
13 these are all the parameters that we have and let's argue  
14 over them. What we're asking you to do is engage in a  
15 process that allows us to set out, you know, these are  
16 our thoughts technically and what we need to achieve, and  
17 we would like to have your input into making sure that  
18 those are -- those are responsible and meet the needs.  
19 Now, this is not uncommon in other processes where there  
20 is engagement and discussion about what appropriate  
21 criteria are to measure success.

22 And what we're saying is that we want to  
23 work with the parties and the Yellowknives Dene First  
24 Nation through the EMS process. We do indeed have ideas  
25 of what needs to be monitored, what we -- what our

1 objectives are, but at the end of the day we're going to  
2 end up in an adversarial approach again, where we put  
3 forward and number and you're going to say it doesn't  
4 meet your needs. We're inviting you. We're encouraging  
5 you to work with us through the EMS process.

6                   And those are some of the things that  
7 we've heard from you earlier in your opening remarks, is  
8 that there is a desire. So, we're not going to pretend  
9 that we have everything worked out at this point. What  
10 we're looking at is a process and an approach.

11                   THE FACILITATOR EHRLICH: I would also  
12 point out that something that I'm -- I'm hearing, and I  
13 think there's -- there's a little bit of confusion, is  
14 this might not be about magic numbers. What I'm hearing  
15 from the Yellowknives is a request for a transparent  
16 normative model with which to compare your monitoring  
17 results. There are many different ways you can have a  
18 transparent normative model. It may not be about magic  
19 numbers. It may be about trends. It may be about  
20 direction and change.

21                   This stuff needs to be thought through  
22 carefully, but I think those things would likely be quite  
23 important to the Yellowknives as well, based on what I've  
24 -- I've heard from the Yellowknives. Not just the  
25 number, but, you know, the direction of change is an

1 important issue.

2 I think that your answer and this subject  
3 is a pretty good segue into the world of water  
4 management, and there's a -- a presentation that the  
5 Giant team will have. There are a couple more comments  
6 on this -- on this subject we'll -- we'll float before we  
7 get on with the presentation.

8 Lisa, do you have a follow-up to what you  
9 just said?

10 MS. LISA DYER: Lisa Dyer. I actually  
11 want to give Kevin an opportunity to speak, and then I  
12 actually have one (1) more undertaking, or not -- or task  
13 -- we'll call them tasks -- that we took on that I want  
14 to report on. So -- but I want to give Kevin an  
15 opportunity to speak, because I -- I really feel his  
16 comments on this is important.

17 THE FACILITATOR EHRLICH: Kevin O'Reilly,  
18 from Alternatives North.

19 MR. KEVIN O'REILLY: Thanks, Alan. I  
20 think that -- I -- I've been involved in a number of  
21 closure planning processes, not as the developer, but as  
22 a -- an observer, occasionally as an Intervenor, or  
23 mostly as an Intervenor, and I think the -- what you  
24 might consider is looking at the guidelines that your  
25 department has for closure planning, or for -- I think

1 they're called "NWT Mine Site Closure Guidelines". 2007  
2 is the last approved version, and there's a -- a draft  
3 that's floated out there right now by the Mackenzie  
4 Valley Land and Water Board and that your department also  
5 put together.

6                   And, you know, we're -- we're not talking  
7 at this point about an interim closure plan; this is the  
8 closure plan for this mine. Unfortunately, the previous  
9 operator and regulators didn't see fit to actually  
10 develop a proper closure plan or criteria or anything, so  
11 you guys get all this dump -- stuff dumped in your lap.  
12 And I think I understand better now the complexities of  
13 trying to come up with the success, the performance  
14 criteria for the frozen block.

15                   You need to do that 3D modelling that was  
16 talked about yesterday, so that you need to understand  
17 the variety of different stopes and chambers under there,  
18 how they -- how they would actually start to melt, and  
19 how you would actually start to measure that. I don't  
20 think you can tell us that now. I don't think you're  
21 going to be able to tell us that at the end of this  
22 process, this EA, but I think that what we need to know  
23 and have a certain level of confidence in, is that you  
24 have a plan to get there and a timeline to do it.

25                   So, if you can't tell us what those



1 closure criteria, those performance criteria are now, I  
2 need to see the plan to get there, and I need to see the  
3 timeline for that. I need to know you have the resources  
4 to do it, and that you're truly committed to engaging  
5 people to do that. I'm still worried about the last one,  
6 and the -- the resourcing of all of this, but I  
7 understand.

8                   So, I think, if we put it in -- if you  
9 look at that -- those guidelines and you look at the plan  
10 and the DAR, I don't think they actually reflect what the  
11 guide -- your own guidelines say. And so we need to have  
12 confidence that there's a -- if you don't -- if you can't  
13 -- if there's some uncertainty around the performance  
14 criteria, that -- the closure criteria that the  
15 inspector's going to need to be able to sign off on at  
16 the end of the day, where's the research you're going to  
17 do to fill that? Where's the timeline for it, and  
18 where's the real commitment to actually engage people pro  
19 -- properly on that?

20                   And by the end of this process, we're not  
21 going to have that. But I want to see a clear draft,  
22 table of contents, a descriptive process for how you're  
23 going to get there. And I think what Todd is saying, and  
24 I -- we would agree, we want a greater level of detail on  
25 the frozen block than on the rest of it.

1 I don't agree with Todd completely; I  
2 don't want to see you give up on the rest of it. I want  
3 to know how you're going to get there to measure the  
4 performance of the -- the tailings covers. I want to  
5 know how -- you know, how you're going to measure success  
6 of tailings covers, because our experience with that is --  
7 -- is twenty (20), forty (40) years, so -- with -- with  
8 covers in general.

9 So, we need to have a -- a level of  
10 comfort and confidence that if you can't specify those  
11 criteria today, there's a -- a roadmap to get there, and  
12 a timeline to do it, and true engagement that's going to  
13 allow it to be done collaboratively.

14 THE FACILITATOR EHRLICH: To the Giant  
15 team; are you going to be able to provide a roadmap and  
16 timeline as opposed to the highly detailed monitoring  
17 plan? Can we start off with during the technical  
18 session, and, if not, at some other point during the EA,  
19 at the approximate level of detail that you've just  
20 heard?

21 MS. LISA DYER: I want to thank Kevin for  
22 his comments because it gave me great faith that we  
23 actually are closer to being on the same page than we  
24 realize.

25 And I think that, yes, we do need to

1 outline our process, and people do need to have  
2 confidence that we are moving forward with timelines and  
3 all the rest.

4           We will start to give that information in  
5 detail on Friday, so I don't want to get into it now  
6 because we do dedicate a day to it. And I think it -- to  
7 be accurate, we can take it as far as we have where we  
8 are right now. We haven't started engagement, and that's  
9 an important part to what I hear Kevin and Todd say.

10           So, yes, there is some work forward.  
11 There is working with the parties to make sure that we  
12 have that engagement, and make it a meaningful process.

13           And so we will let you know where we've  
14 come, and we want to try and open the doors, and  
15 encourage that we work together to set these timelines,  
16 and we will -- this is important, and we are looking at  
17 dedicating the resources and -- and do this in a timely  
18 fashion so that it is part of the EA process.

19           THE FACILITATOR EHRLICH: Thanks very  
20 much, Lisa. There was one (1) other take home task that  
21 come up yesterday. It had to do with climate change and  
22 certain assumptions.

23           I'm going to ask the Board's consultant,  
24 Doug Ramsey, to just summarize what the task was.

25           MR. DOUG RAMSEY: Doug Ramsey. Just

1 summarizing on the request to the Giant team yesterday  
2 regarding climate change and specifically the worse case  
3 scenario that was -- that was employed in their climate  
4 projections and -- and which of the worse case scenarios  
5 presented by the IPCC was used, over what period, whether  
6 it was fifty (50), a hundred, two hundred (200), five  
7 hundred (500) years, or whatever; and which climate  
8 parameters were -- were actually considered as part of  
9 their -- their climate change scenario. Plus, whether or  
10 not that was -- climate change was incorporated into the  
11 event frequencies for various climate-related events.  
12 For example, whether it's a 1 in 500 year stream flow, or  
13 -- or whatever that might be.

14 THE FACILITATOR EHRLICH: Is the Giant  
15 team ready to respond?

16 MS. LISA DYER: Lisa Dyer. I'm getting  
17 good at saying my name, aren't I?

18 This is one (1) of the -- these items  
19 yesterday that we said that we wanted to talk to an  
20 expert that we had, that he was out of the country.  
21 Unfortunately, we have not been able to get a hold of  
22 him, so we did try to get that information to clarify.

23 I think because we need to talk to an  
24 expert that isn't readily available to us right now just  
25 to confirm all this, that we'd like to take this as an





1 five hundred (500) years; and  
2 which climate parameters were  
3 considered as part of their  
4 climate change scenario. And  
5 to indicate whether or not  
6 climate change was  
7 incorporated into the event  
8 frequencies for various  
9 climate-related events

10  
11 THE FACILITATOR EHRLICH: I think that  
12 sums up the issues we had left over from yesterday and  
13 now we're going to ask the Giant team to give its  
14 presentation having to do with water.

15 I am going to -- because of the shape of  
16 this room, it's very hard for people at the end of the  
17 table I'm on, and I'm pointing to the DFO and Environment  
18 Canada types who are usually quite interested in water,  
19 hard for them to see what's going on on the screen.

20 I would strongly suggest you take your  
21 notebooks and sit in the chairs that are available over  
22 there just for the presentation if you don't need the  
23 desk in front of you.

24 I'd suggest the same for anyone else who's  
25 -- who is in this particular line of sight. And so,

1 Lisa, if you wish, you could make this presentation with  
2 a handheld microphone, or the -- the one there. Are you  
3 as stander or a sitter? Yesterday you didn't have the  
4 choice.

5 MS. LISA DYER: I am a stander, but I  
6 will be passing this along to Mark Cronk to introduce the  
7 team, and my team are happy sitters.

8 THE FACILITATOR EHRLICH: That's --  
9 that's the name of your baseball team or the -- the group  
10 that we've got there?

11 MS. LISA DYER: These folks all work with  
12 me on the design of Baker Creek and water treatment plant  
13 where they're affectionately known as the "water babies,"  
14 but today they will be known as the "comfortable  
15 sitters."

16 THE FACILITATOR EHRLICH: Lovely. I'm  
17 happy there's not a baseball bat in sight. Okay. Please  
18 go ahead.

19 MR. MARK CRONK: Mark Cronk. The  
20 presentation you're going to see today is comprised of  
21 five (5) major portions, which I'll introduce now. The  
22 first one (1) is going to be surface water in Baker Creek  
23 and that will be done by Nathan Schmidt. Followed by  
24 that there will be the groundwater management and pumping  
25 systems, which are associated with bringing water from



1 underground up to the water treatment plant.

2                   Following that presentation will be the  
3 water treatment plant as a process facility in itself.  
4 That plant ultimately delivers treated water to the  
5 diffuser, which will be a standalone presentation. And  
6 finally, I'll ask Bruce Halbert to bring it all around in  
7 terms of ecological health risk assessment and human  
8 health.

9                   THE FACILITATOR EHRLICH: Thanks for the  
10 summary, Mark. What do you think is the total amount of  
11 time you'll require for this? I mean, we've got  
12 approximately an hour on the agenda, but we -- you know,  
13 because we -- the Giant team needed a little bit more  
14 time than scheduled for yesterday's presentation we had  
15 to bump a little bit of yesterday's material to today,  
16 the follow-up stuff, which is okay.

17                   Do you think that you'll be able to get  
18 all that across in an hour?

19                   MR. MARK CRONK: We -- we have run it.  
20 Of course that'll depend a little bit on how many  
21 questions we take during the middle. If we can hold most  
22 of the questions, because this is a complete process  
23 dealing with water from its origin on surface all the way  
24 through a treatment and delivery to Back Bay, if we can  
25 hold most of the questions until the entire process is

1 explained, we can do it in an hour, yes.

2 THE FACILITATOR EHRLICH: Okay. In that  
3 case, the only questions we'll allow during the  
4 presentation are just for very short points of  
5 clarification if there's a terminology or something in  
6 there that's -- that's not clear.

7 But I'm going to ask the parties again to  
8 hold all of your substantive questions, because we've got  
9 the rest of the day to ask those questions. As well, we  
10 will put the -- the break halfway in between this  
11 presentation.

12 So when you feel like you're about halfway  
13 through and it's a reasonable time, it won't interrupt  
14 your flow, please let me know, because we've got a short  
15 break scheduled.

16 We're running a little bit late, it'll  
17 probably be a ten (10) minute break, not a fifteen (15).  
18 So with that, please take it away.

19

20 (BRIEF PAUSE)

21

22 PRESENTATION BY THE DEVELOPER:

23 MR. NATHAN SCHMIDT: Thank you. Nathan  
24 Schmidt. And today I want to talk a little bit about  
25 Baker Creek. It's one (1) of the major surface water

1 drainage features going through the mine site. I want to  
2 talk about how we're gonna get the water from upstream of  
3 the mine down to Yellowknife Bay.

4                   And we're going to consider the case  
5 that's can -- that's discussed in the DAR. We're also  
6 going to address the design variant and some contingency  
7 planning that has been taking place during preliminary  
8 engineering.

9                   Now this map is a little hard to read.  
10 There is also a hard copy of it up on the wall over  
11 there. And so if you want to have a closer look at it at  
12 the break you can do that at your -- at your leisure.

13                   But just to set some context here, we've  
14 got a creek that comes from upstream here, and within the  
15 mine site runs for about 2 1/2 kilometres. We've got a 4  
16 hectare pond called Baker Pond. Over the life of the  
17 mine, it's been subject to quite a bit of diversion  
18 operationally. The major diversions that we've seen are  
19 -- Reach 3 here, where it goes around C1 Pit, and also  
20 down in Reach 1. The reaches are numbered from zero to  
21 six (6). Reach 1 here, where it goes around A2 Pit, this  
22 allowed the mining of the pits. And really those  
23 diversions were strictly to convey water; they weren't  
24 intended to create any habitat.

25                   After closure of the mine, what we've seen

1 and what a lot of people in the room have probably seen,  
2 is Reach 4 here that's been reconstructed. It used to go  
3 through the mill pond area, and it was reconstructed  
4 several years ago with fish habitat in mind, and so  
5 that's a Reach that we actually have as a -- as a  
6 template for our design. It's -- it's a good sort of  
7 pilot test there.

8           We have still some concern with proximity  
9 to some of these pits. We've got B1 Pit up here, C1 Pit  
10 here, and A2 Pit here, where we -- we know that there's a  
11 risk of spillage during extreme flood events.

12           So key concerns that we're dealing with  
13 here. Like I said, flood risk. The existing creek may  
14 not convey extreme flows, or even lower flows under  
15 conditions where we have rock falls, bank failure, or  
16 anchor ice.

17           Anchor ice was something that I was asked  
18 to define. I sometimes call it "elf ice". They are  
19 different, but basically, anchor ice is anchored to the  
20 bed of the creek. Elf ice is -- can be anchor ice, where  
21 it builds up over the winter in a laminar fashion, and  
22 it's something that's been a bit of a -- a concern the  
23 last couple of years with the monitoring.

24           One (1) of the things you can see here is  
25 the -- the operational diversion in the A1 -- or Reach 1

1 is immediately adjacent to A2 Pit. We've got an  
2 undersized culvert just downstream. So that's -- that's  
3 one (1) of the areas that's an example of where we've,  
4 you know, perceived some risk there.

5           Along with the flood risk we have concerns  
6 about the environment. We know that the water and  
7 sediment quality in the creek have been affected by  
8 historical deposits, you know, aerial deposits that have  
9 run off, and also tailings deposits, and that the  
10 existing channel alignment includes alterations and  
11 diversions that really don't provide acceptable or  
12 adequate fish habitat.

13           A little aerial view there of Baker Pond,  
14 where you can see tailings. This is where the work's  
15 going on on Jo-Jo Lake right now. The creek actually  
16 comes in over here and outlets down here, and you can see  
17 shallow, you know, sediments, and we'll have a little bit  
18 of a discussion about that.

19           So the objectives of the Baker Creek  
20 component here are to provide flow conveyance through the  
21 site without spillage to underground. The current design  
22 criteria that we're -- we're proposing are to use -- and  
23 I -- I'm going to get a little bit -- into a little bit  
24 more detail about this later on with some visual to help  
25 explain this, but we're looking at the five hundred (500)

1 year flow event with an allocation, a pretty healthy  
2 allocation, for 2 metres of anchor ice, and an additional  
3 metre of freeboard, okay, before anything would spill to  
4 the underground. We also want to minimize groundwater  
5 seepage to the underground workings.

6                   From an environmental perspective, like I  
7 said, we've got a pretty good template there with the  
8 Reach 4 reconstruction. I'll -- I'll get into a bit more  
9 detail there, but we -- we want to make the creek a  
10 productive habitat. And the other flip side of that is  
11 that there are contaminated sediments there, so there is  
12 a -- a program going on right now where samples have been  
13 collected.

14                   There's a framework that's set out under  
15 this Federal Contaminated Sites Action Plan that we're  
16 using to guide the decision-making process on exactly  
17 what gets done with those sediments. You know, is it  
18 acceptable to leave them there? Do we need to cap them  
19 in place or do -- do they need to be removed completely?  
20 That sort of thing. That's -- that's the decision that  
21 needs to be made.

22                   With respect to the DAR, what we're saying  
23 is that restoring the flow regime and recreating fish  
24 habitat will be positive changes.

25                   I want to step back a little bit and talk

1 about the hydrology of the creek, just to provide a bit  
2 of context here.

3                   What you can see there is a hydrograph of  
4 the creek; it runs from 1st of January to the 31st of  
5 December, and in the grey, what we can see is the maximum  
6 flow that's been recorded on the creek on any given day.  
7 So it's a typical northern stream where we have, you  
8 know, frozen or near frozen conditions over the winter.

9                   We have the largest component of freshette  
10 there during spring runoff. Okay, snow melt period.  
11 Often times, like we're seeing right now, you know, we  
12 get late season rainfall where we get secondary peaks.

13                   Some of the important things here are the  
14 -- the maximum flow that we've seen on the creek, and  
15 this is -- we're in a really good situation here because  
16 the creek has actually been monitored for flow for over  
17 forty (40) years, okay.

18                   Working in the north, this is a luxury,  
19 okay. We've got hard data. So that's -- that's a real  
20 plus. The -- the median freshette -- or flow, you know,  
21 during the freshette period is only a metre cubed per  
22 second, so, you know, it's not a -- it's not a big creek.

23                   It's got about 140 square kilometres of  
24 drainage area. Mean annual flow, you know, about 7  
25 million cubic metres. And like I said, aufeis formation

1 has been, you know, a concern that's kind of reared its  
2 head just in the last few years.

3           The flood regime of Baker Creek, what you  
4 can see here is, you know, the -- the median annual flow  
5 peak is about 2 cubic metres per second, something less  
6 than 2 cubic metres per second.

7           Our design number is twenty-five (25).  
8 What you might see in some of the previous documentation  
9 is that -- I think that twenty-five (25) number.

10           We -- we actually updated the frequency  
11 analysis since those initial numbers came out, and it  
12 went down. But just -- you know, to provide a little bit  
13 of extra comfort, and, you know, account for some  
14 uncertainty, we've kept the larger number there so  
15 there's a little bit of a cushion there, something  
16 greater than 10 percent.

17           So the current de -- channel design  
18 criteria, this is in -- you know, looking upstream, or  
19 downstream in the channel. And this is based not just on  
20 Reach 4, but we also had part of our team, a couple of  
21 fluvial geomorphologists who went upstream of the mine  
22 site, and looked at the undisturbed portions of it  
23 between lower Marten Lake and Baker Pond.

24           And basically we're listening to Mother  
25 Nature here. We're not trying to design a canal; we're



1 trying to design something that has adapted over the  
2 years to the existing flow regime. And so we're looking  
3 at a channel that's about 6 metres wide at the base,  
4 roughly 3:1 side slopes, and a bank full depth of about a  
5 metre. To provide extra flood conveyance, and to  
6 accommodate ice accumulation, what we're looking at is a  
7 floodplain, okay, 32 metres wide, and the side slopes on  
8 that would be steeper in rock and shallower in in-situ  
9 soils.

10 Now, to -- to look at the flood design  
11 criteria, we first have our 2 metres of aufeis  
12 accumulation. You know, it's a pretty -- pretty hefty  
13 allocation. A lot of volume of ice that would need to  
14 accumulate to get up to there.

15 We were below that this year in the Reach  
16 3 area. And the Reach 3 area, of course, doesn't have  
17 the floodplain, so it's got nowhere to go but up. So we  
18 think that's a fairly conservative, you know, allocation  
19 there. On top of that, the five hundred (500) year flood  
20 flow. So an extra level of conservatism in that we  
21 haven't accounted for melt of that ice during this  
22 extreme flood event.

23 You know, there would be thermal erosion  
24 of the ice, but we haven't included that. And then an  
25 extra metre of freeboard. So that corresponds to the --

1 what I --what I said before on a previous slide.

2                   Like I said, based on local geomorphology,  
3 channel and floodplain materials, you know, we're not  
4 dealing with sands and silts here, these are boulders and  
5 cobbles, okay, and that's what we see in the upstream  
6 areas, so it's very erosion resistant material. And  
7 below the channel and floodplain we're looking at a layer  
8 of compacted till to reduce the seepage potential.

9                   And in -- in areas where we have concerns  
10 where the creek would be over top of shallow underground  
11 features, mine workings, we would also look at putting in  
12 a bituminous liner. That's something that is in place in  
13 -- in Reach 4 right now.

14                   Looking at it from another perspective.  
15 This is plan view, and in the downstream here's where  
16 Yellowknife Bay is, Reach 0.

17                   That area just inside of the breakwater at  
18 the downstream end of the site there are potentially  
19 contaminated sediments in there. That's where the work  
20 is being done to determine the nature of those sediments.  
21 If need be, they can be removed and that area re-  
22 vegetated.

23                   Reach 1, where the existing creek goes  
24 here, that was where we saw the oblique aerial photo.  
25 What we want to do is actually divert the creek through

1 bedrock in this area and provide a flood plain to provide  
2 flood conveyance through there.

3                   And Reach 2 actually is in relatively good  
4 shape right now. There are a couple of pinch points  
5 where we have old road access. There's a natural bedrock  
6 outcrop up in this area, but there would -- you know,  
7 we've got some good vegetation developed, it would be a -  
8 - a minor bit of work in there. Sediments -- fine  
9 sediments may need to be removed depending on the results  
10 of the current study.

11                   Reach 3, there -- the main feature there  
12 is that horrendous canal that goes through rock cut right  
13 now, and this is the area where, you know, major concerns  
14 about -- about spillage. This embankment is being ha --  
15 recently was just brought up to guard against spillage.  
16 What you see in the PDR is diverting the creek this way  
17 to the east. You can see the outline of the flood plain.

18                   It's a little tight in this area and we  
19 have some uncertainty about foundation conditions in  
20 there. And so this is the PDR case, this is what's  
21 proposed right now, but we also have a design variant  
22 that we've looked at, going in a deep rock cut around to  
23 the west. Okay. There's a pretty significant cut volume  
24 through there.

25                   So one (1) of the things that would be

1 considered if this -- if -- if this went forward was,  
2 well, what's going to happen with that material. And one  
3 (1) of the answers qualitatively is we may be able to use  
4 it as capping material for the tailings.

5           There -- it may -- it may give us a good  
6 situation where this is both an excavation area and a  
7 borrow area, so that's under investigation right now.  
8 But I've got to stress, this is a design variant right  
9 now, not what's -- what's currently proposed.

10           In the area upstream of that we have the  
11 existing Reach 4. There's no intention to do anything  
12 with that right now other than a little bit of a berm up  
13 in this area to guard against spill.

14           Reach 5, what's proposed here is a bit of  
15 a channel cut, again, through bedrock, to prevent an  
16 existing flow constriction in that area and it also gets  
17 the water away from the -- the B2 dyke there. And we go  
18 further upstream, and both Reach 5 and 6 we know have  
19 potentially contaminated sediments in there.

20           And Reach 6 in Baker Pond, we saw the  
21 aerial photo of that, and the big question is what to do  
22 with those -- those sediments in the pond. Okay. That  
23 pretty much summarizes what's in the DAR and a little bit  
24 of an update on where we've -- we've proceeded.

25           The other thing I want to talk about is a

1 contingency that we've started to look at, and this is  
2 just in the last couple of months. There's probably a  
3 lot of rumours floating around, so hopefully this can  
4 clarify what's being done.

5                   It's strictly being done for contingency.  
6 We don't want to get ourselves in the situation where  
7 maybe we need this and we don't know anything about it.  
8 So we've -- we've done some initial looks and it involves  
9 diverting Baker Creek completely around the site to the  
10 north, okay.

11                   The City of Yellowknife kindly gave us  
12 their digital elevation data, so we've got a pretty good  
13 topographic data set for that area. And we've looked  
14 both at a flood only diversion and also at a fish  
15 friendly diversion that would provide not just flood  
16 conveyance but fish passage up into that upstream area.

17                   One (1) thing I should note is that right  
18 now there is no fish passage above Baker Pond into Baker  
19 Creek. There's a -- a waterfall and a very steep reach  
20 in that area. So anything that comes up out of Great  
21 Slave Lake, any large-bodied fish that come out of Great  
22 Slave Lake can't make it further than the pond. This is  
23 looking at, you know, potentially opening up that area.

24                   Now we looked at multiple diversion  
25 alternatives but we are limited by topography. What you

1 can see is a map there, Yellowknife city limits, the  
2 north end of the mine site, northwest tailings, and  
3 Ingraham Trail coming through this way, Yellowknife  
4 River, existing water intake in this area, and Baker  
5 Creek coming through Martin Lake and down to the south.

6           Some of the key water bodies there, Baker  
7 Creek, Yellowknife Bay, like I said at the start of the  
8 presentation, our -- our goal is to get water from  
9 upstream to downstream. Okay.

10           Because of limitations on topography, we  
11 can't make the water flow uphill into these areas, into  
12 Walsh Lake, for instance, Gar Lake that I've just  
13 outlined there, Trapper Lake, and Shot Lake. This area  
14 really defines the route that could be feasible, and a  
15 bit closer look at that using the City of Yellowknife  
16 digital elevation data and showing the -- the diver --  
17 diversion routes that we looked at.

18           And so -- sorry. Through Gar Lake to  
19 Trapper Lake, if we just wanted to short-circuit it and  
20 convey floods, we could make a big, steep channel through  
21 to Shot Lake and down into Yellowknife Bay, downstream of  
22 the existing water intake so we don't have concerns with,  
23 you know, the chemistry of that water.

24           If we want to provide fish passage, there  
25 are -- taking advantage of existing topography, we've

1 looked at alternatives in this area. And this is all at  
2 a very, very preliminary stage. What we recognize is  
3 that if anything goes forwards on this, there's going to  
4 be a lot more work, both on the engineering side and also  
5 on the regulatory side, that would need to be done, but  
6 we want -- just wanted to introduce this to people as --  
7 as something that we are looking at kind of behind the  
8 scenes.

9 So thank you.

10 THE FACILITATOR HUBERT: Thank you. It's  
11 Chuck Hubert with the Review Board. Is this a good time  
12 for a -- a health break? Okay. It's about twenty (20)  
13 after 10:00. Let's have a break until 10:35, please.  
14 How about 10:30, just so we can make up a bit of time, a  
15 modification of that. Thanks. Bye.

16

17 --- Upon recessing at 10:20 a.m.

18 --- Upon resuming at 10:33 a.m.

19

20 THE FACILITATOR HUBERT: Okay. It's  
21 Chuck Hubert, with the Review Board. I see most people  
22 have managed to locate their seats again after the break.  
23 I'd like to thank the Giant team for the presentation on  
24 Baker Creek that's been presented so far, and, with that,  
25 can the team please continue with their presentation.

1 Thanks.

2 MR. MARK CRONK: Thanks for that. Mark  
3 Cronk, Giant Mine team. Carrying on with the  
4 presentation, I'd like to introduce three (3)  
5 individuals.

6 Firstly, Mr. Robert Boon is a senior civil  
7 engineer with a long history in the north. He's gonna  
8 talk about the groundwater management and the pumping  
9 systems that will supply the mine water to the water  
10 treatment plant; followed by Kyla Kirk, who is on the  
11 plant design team; and the last speaker will be again Mr.  
12 Nathan Schmidt, who will talk about the diffuser. And I  
13 misspoke myself, the last speaker will actually be Bruce  
14 Halbert, who will do a wrap-up on the human health risk  
15 assessment associated with the water system.

16 So, with that, I'll turn it over to Mr.  
17 Robert Boon.

18 MR. ROBERT BOON: Good morning, everyone.  
19 My name is Bob Boon with AECOM, and, as Mark said, we'll  
20 be talking a bit at the moment on groundwater.

21 Before we do, though, the -- should set  
22 the -- set the stage. The objective here is once the  
23 groundwater is brought from underground, treated, and  
24 sent through the diffuser. The objective is to treat all  
25 of that underground water to meet CCME 2007, or the



1 guidelines for Canadian drinking water quality, whichever  
2 is the more astringent, at the end of the mixing zone.

3           The only exceptions to that is if the  
4 background level in the bay is higher than those  
5 guidelines, then the background level will govern.

6           So ground -- the first part is about  
7 groundwater management. The current groundwater level in  
8 the mine is about 230 metres below the lake level, or two  
9 fifty (250) below the collar on the sea shaft. And we  
10 get groundwater into the mine from a number of sources.  
11 It can be rainfall or snow melt from the open pits,  
12 seepage in from Baker Creek, seepage from the various  
13 ponds on site, and of course groundwater seepage and  
14 infiltration into the mine itself.

15           So, this portion of it, we'll talk about  
16 the groundwater monitoring, the water levels in the mine,  
17 the storage of water in the mine, contingency plans, and  
18 some design variance. At the mine, there's an extensive  
19 groundwater monitoring program already in place. There's  
20 over a hundred and twenty (120) monitoring points, and  
21 these continue to be monitored.

22           The results of that monitoring clearly  
23 indicate the crescent -- the presence of a hydraulic trap,  
24 which would be expected with the artificially low  
25 groundwater at the 230 metres below the -- the lake.

1                   And there was no significant difference in  
2 the piezometric levels observed when they flooded the  
3 mine from the 600 metre level up to the 230 metre level.

4                   And I would note at this time, there's no  
5 specific water quality standard set for groundwater in  
6 the mine, as all the groundwater reports to water  
7 treatment plant.

8                   How much water is coming into the mine?  
9 The current estimated average year volume entering the  
10 mine is about 630,000 cubic metres, which could increase  
11 up to about eight hundred and twenty-two thousand  
12 (822,000) in a wet year.

13                   After the freezing is complete on the  
14 blocks, and the surface ponds are de-watered, that's  
15 expected to decrease to about four hundred and four  
16 thousand (404,000) in an average year, with up to about  
17 five twenty (520) in a wet year.

18                   Those numbers are slightly higher than  
19 what you may have seen in the DAR. It's just reflecting  
20 design contingencies and recent flow data from the  
21 Akaitcho.

22                   The underground water has been studied and  
23 sampled for many years, and that is continuing. There's  
24 also additional sampling points being added, and  
25 additional flow monitoring planned at various sources in

1 the mine, all to better understand that groundwater.

2                   You may hear the term 'high test,' and  
3 I'll be using it later in this. 'High test' is a term  
4 that apply -- is applied on site to the high arsenic  
5 content water. That water primarily originates in the  
6 arsenic storage areas.

7                   The majority of that high test water is  
8 currently captured and piped to the seven-fifty (750)  
9 level Akaitcho sump. There's ongoing work to identify  
10 and map the high test sources.

11                   The sampling of that water is occurring,  
12 and that will be expanded to better characterize those  
13 high test flows, and the -- there's water metering being  
14 added to quantify the flows from the various sources.  
15 That metering will help identify changes to flows during  
16 and after the freezing of the blocks.

17                   Minewater is current pumped to the  
18 Northwest Pond for storage and treatment during the  
19 summer months. The current plan is to retain the  
20 minewater underground, and treat it as -- on a year-round  
21 basis. That will require storage for the spring  
22 freshette and for major storms that may increase seepage  
23 and infiltration into the mine.

24                   The storage is available in numerous  
25 drifts, raises or passes, open and backfilled stopes, and

1 various other mine workings. This is simply a figure  
2 from the DAR, which illustrates the flooded stopes, and  
3 the unflooded workings available above the seven-fifty  
4 (750) level, which is where the water level currently is.

5           The estimates of potential underground  
6 storage volumes are ongoing, but if you can imagine  
7 they're difficult due to the lack of backfill records in  
8 the old stopes, and the very complexity of the  
9 underground workings themselves.

10           Some data we have from the Akaitcho  
11 pumping station indicates that at the current levels,  
12 we're storing about 10,700 cubic metres per vertical  
13 metre of mine.

14           That's over a very small range, and that  
15 can be expected to vary as you go up or down in the mine.  
16 If you couple that with the current plant size we  
17 anticipate, you will need to store about 177,000 cubic  
18 metres to get you over the spring freshette. At the ten  
19 thousand seven hundred (10,700), that represents about 16  
20 to 17 vertical metres in the mine.

21           The current short-term plan is to keep the  
22 water below the seven fifty (750) level, and that's shown  
23 on this slide. There's also a hard copy on the wall, if  
24 you want to have a look at it.

25           Keeping it at that level has a number of

1 advantages: it maximizes our underground storage volume  
2 during the plant and diffuser start-up and commissioning;  
3 minimizes the risks of flooding the arsenic chambers;  
4 maximizes the hydraulic gradient into the mine; it allows  
5 us to access the various levels -- four twenty-five  
6 (425), five seventy-five (575), seven fifty (750) -- for  
7 monitoring and remedial work; gives us time to better  
8 monitor and understand the minewater; and allows us to  
9 use the Akaitcho system, which is on the right-hand side,  
10 as a contingency pumping.

11 To accomplish that and feed the plant, we  
12 will have to drill a -- a couple of new probably 15- to  
13 18-inch bore holes near the seven (7) -- or near the C  
14 Shaft. Those have to be drilled right down to this nine  
15 hundred (900) or nine fifty (950) level to pick up the  
16 water, and we'll install the pumps between the nine fifty  
17 (950) and the seven fifty (750) level.

18 In the future, as the mine is flooded  
19 further up, those can be lifted, and -- and both the  
20 pumps and the controls can be lifted in those shafts so  
21 you can accommodate further or higher water levels.

22 As I mentioned earlier, in the short term,  
23 we want to keep the Akaitcho system as a contingency  
24 plan. The existing -- and that would be kept in place  
25 until the existing ponds are dewatered by the existing

1 plant, that the new plant is online and functioning, that  
2 we've got operational experience with the new system, and  
3 the mine water is better understood.

4           Future water level will be raised;  
5 however, the final minewater level isn't defined at the  
6 moment. It is under discussion. The timing of that  
7 additional flooding is also under discussion; it is not  
8 defined, but it should only be raised based on design --  
9 or detailed design and operational experience.

10           There's a -- with the -- the low water  
11 level at the seven fifty (750) level, there's a potential  
12 to keep the high test piping, so future design of the  
13 water treatment plant is to consider the benefit of  
14 retaining that high test piping and the possibility of  
15 expanding it, and feeding that to a separate treatment  
16 segment specifically designed to treat the high test  
17 water until the freeze is completed and that flow dries  
18 up.

19           The output from that high test water  
20 treatment plant, if it meets the design criteria, which -  
21 - which we've had at about .2 milligrams per litre, would  
22 go right into storage and then out to the diffuser. If  
23 it can't bring it down to that level, it would likely be  
24 taken and run through the main water treatment plant for  
25 further treatment.

1                   Future monitoring. The groundwater at  
2 Giant will continue to be monitored. That includes the  
3 minewater quality at the entry to the water treatment  
4 plant. The minewater level would also be monitored at  
5 that point. There's plans for seven (7) multi-point --  
6 multi-point wells to be installed surrounding the frozen  
7 arsenic areas, as outlined in the DAR; the groundwater to  
8 be monitored in both shallow and deep monitoring wells.  
9 Again, that process is outlined in the DAR. All of those  
10 water samples will follow industry standards, and the  
11 monitoring results are to be included in annual port --  
12 reports and status of environment reports.

13                   A couple of design variance. A continued  
14 review of the potential separate treatment segments,  
15 specifically to treat the high test water; to have mine  
16 access for personnel if the high test piping is retained  
17 so that that system can be maintained; the minewater to  
18 be held about 20 metres below the seven fifty (750) level  
19 for some time; and the future minewater level is  
20 currently under discussion.

21                   So, in summary, on the groundwater itself,  
22 the ground -- the groundwater and minewater are being  
23 monitored. This will continue, and it will be expanded.  
24 The minewater level is to be held at current levels  
25 during remediation. Future water levels are still being

1 discussed, and the hydraulic trap will be maintained for  
2 some time with that low water level.

3                   And with that, I will turn it over to Kyla  
4 to talk about the water treatment.

5                   MS. KYLA KIRK:    So my name is Kyla Kirk,  
6 and Till and I have been working on the water treatment  
7 portion of this project.

8                   So just to give you a little outline of  
9 what we're going to cover, first we'll talk about the  
10 design criteria, the minewater quality, and the  
11 performance criteria that led us to undergo our  
12 technology review. Based on this technology review we  
13 developed a process design. We intend to perform  
14 validation to confirm our process design.

15                   We also intend to discuss -- we plan to  
16 discuss residual handling, sampling and monitoring  
17 program, our contingency plans, and our design variants,  
18 and we'll wrap up with a summary.

19                   Our design criteria: In the short term,  
20 we anticipate that our average treatment flow rate will  
21 be approximately 26 litres per second. In a peak wet  
22 year, this is expected to rise to about 34 litres per  
23 second with a maximum equalization storage volume of  
24 177,000 cubic metres.

25                   We expect in the long -- in the long term



1 that this will fall to a minimum level, with a average  
2 treatment flow rate of approximately 17 litres per  
3 second, and a peak wet year flow rate of 21 litres per  
4 second.

5 We reviewed several water analysis test  
6 results to determine the major parameters of concern, and  
7 what we've determined is that these are arsenic suspended  
8 solids and pH.

9 So we did -- we do understand that there  
10 is some salinity in deep groundwater, but we do not  
11 believe that this will affect the treatment process, or  
12 the water quality at the edge of the mixing zone.

13 So the blended and high test water, which  
14 was previously explained by Bob during the underground  
15 water management section, we reviewed water analysis test  
16 results from these -- from the -- from several existing  
17 sample points.

18 And this is showing us that the blended  
19 water to surface is approximately two hundred and eighty  
20 (280) -- goes up to 280 milligrams per litre of total  
21 dissolved arsenic, whereas the high test can go -- be as  
22 high as 7,300 milligrams of dissolved arse -- arsenic per  
23 litre.

24 We intend to have a preliminary sampling  
25 and monitoring program, and this will help us collect

1 data to support detail design, as well as help clarify  
2 flows to the Northwest Pond, and develop reference points  
3 to observe seepage and high arsenic content water capture  
4 upon freezing.

5                   Here we have a table showing us the  
6 general Northwest Pond data for 2009/2010, and the  
7 Akaitcho dewatering system for 2009 to 2010.

8                   Now, what this shows is that the existing  
9 treatment plant is treating water from the general --  
10 mostly from the general Northwest Pond, and the new plant  
11 will be treating water from the Akaitcho dewatering  
12 system.

13                   As you can see from the data, it's -- the  
14 water quality in the Northwest Pond is slightly better  
15 than that coming directly from underground.

16                   So this is important because on our next  
17 slide we show our existing treatment plant effluent -- or  
18 new treatment plant predicted effluent, and our -- and  
19 the maximum criteria based on the former water licence  
20 for the existing treatment plant.

21                   We'll see that -- we expect that the new  
22 treatment plant will produce water that is better than  
23 the existing treatment plant, but we also understand that  
24 in some cases because -- if we look at the chart you see  
25 for ammonia we do have slightly higher ammonia values

1 coming out from the underground compared to what is in  
2 the Northwest Pond, because the water quality changes in  
3 the Northwest Pond.

4           The -- the main -- I -- sorry. What we  
5 want you to take away from this slide is that again the  
6 new water treatment plant would meet or surpass existing  
7 effluent quality, and our current effluent quality water  
8 criteria will be set in conjunction with the diffuser  
9 design to meet the objectives at the end of the mixing  
10 zone. The existing maximum criteria listed is based on  
11 the former water licence for the existing plant.

12           We reviewed several technologies, and what  
13 we found is that our review collaborates previous studies  
14 that showed that conventional treatment is the most  
15 appropriate technology for this application.

16           So the conventional treatment process  
17 consists of three (3) main steps. The first is the  
18 oxidation of the arsenide to arsenic. The second is the  
19 precipitation of the arsenic, and finally, we intend to  
20 remove this precipitate through a liquid solid separation  
21 process.

22           Here we have a simplified process flow  
23 diagram which is also available on the wall if you want  
24 to have a closer look, because it may be a bit difficult  
25 to read here. And we have the minewater being pumped

1 from the underground. We have chemical addition in the  
2 form of potassium permanganate, ferric sulfate, and lime  
3 with a reactor chamber which helps us precipitate the  
4 arsenic in metals.

5                   We add polymer for improved floc  
6 characteristics which help in our settling, which occurs  
7 in a liquid/solid separation step. This removes, or  
8 precipitates, and reduces our suspended solid content.

9                   We intend to adjust the pH with carbon  
10 dioxide in the reactor chamber and have further  
11 liquid/solid separation for additional suspended solids  
12 reduction. The treated water has a return recycle line  
13 for retreating non-compliant effluent and the solids from  
14 the initial separation step, which is right here, will be  
15 held in a sludge thickener and then mechanically  
16 dewatered.

17                   The liquid residuals will be returned for  
18 treatment at the start of the treatment process and -- or  
19 -- or backwashed from a secondary separation process,  
20 will be sent to the mine. We anticipate this will be  
21 approximately 150 cubic metres today -- per day.

22                   So this type of process provides  
23 flexibility due to the two (2) parallel trains which are  
24 not shown here for simplicity, and the treatment process  
25 is based on a multi-barrier approach.

1                    Together the all different barriers that  
2 we have in place should provide increased operational  
3 flexibility and offer a greater assurance that the water  
4 will be fit for discharge.

5                    We intend to validate the performance of  
6 the system, the bench scale testing and the pilot plant.  
7 The bench scale testing process is recommended to confirm  
8 our choice of chemicals, to optimize our treatment  
9 process, for example, we can determine the order in which  
10 chemicals should be added in -- added to the treatment  
11 process, and it will also help us provide more accurate  
12 che -- chemical consumption estimates.

13                    The pilot plant will confirm that our  
14 proposed treatment process will meet the effluent  
15 requirements and confirm the arsenic treatment threshold  
16 value. Bob discussed earlier the possibility of us  
17 treating the high test water separately and by performing  
18 a pilot test we can determine if the high test water can  
19 be treated in a separate stream based on the threshold  
20 value.

21                    It also assists us in the operation of the  
22 plant as the arsenic concentration in the influent raw  
23 water also acts as an indicator of whether the effluent  
24 will need to be retreated.

25                    We anticipate that our sludge volumes will

1    rage be -- range between 150 cubic metres per day and 210  
2    cubic metres per day coming out of our treatment process.  
3    We investigated several locations for disposing of our  
4    sludge.

5                    The first was returning it to the mine.  
6    The second was storing it in an empty arsenic stope, and  
7    the third was storing it in an onsite engineered  
8    landfill. We decided to go with the onsite engineered  
9    landfill as returning it to the mine or storing it in the  
10   arsenic stope can introduce the possibility of arsenic  
11   and other contaminant re-release.

12                   The actual location for this -- for the  
13   sludge disposal is under investigation and details on it  
14   will follow in the waste management hazardous waste  
15   presentation. In order to reduce the number of solids  
16   going to our engineered landfill we plan to mechanically  
17   dewater these residuals. We anticipate that these -- the  
18   dewatered sludge volume would range from 15 to 50 cubic  
19   metres per day.

20                   We also plan to do some bench scale and  
21   pilot testing for the sludge. This will help us identify  
22   the sludge characteristics and determine the best  
23   dewatering equipment for the sludge. It also allows us  
24   to optimize our polymer dosage values and obtain more  
25   accurate chemical consumption rates.

1                   Again, liquid residuals will be returned  
2 to the start of the treatment process. We also plan to  
3 continue to sample and monitor several locations. I --  
4 on the screen we have a list of some of those locations.  
5 The first is the plant inlet. This will help us monitor  
6 the performance of the plan by providing comparative  
7 data. It also allows us, as I di -- I talked about  
8 earlier, to dis -- to optimize the plant based on the  
9 influent water quality.

10                   We plan to monitor flow rate, pH,  
11 temperature and con -- conductivity continuously, perform  
12 daily grab samples for arsenic and weekly composite  
13 samples for general chemistry and total metal parameters.

14                   We also in -- intend to monitor after all  
15 major process stages. This also allows us to evaluate  
16 the performance of our equipment so we can tell if  
17 something is going wrong. We plan to monitor TSS, pH,  
18 and flow rate at these locations.

19                   We also plan to monitor entering the  
20 treated -- treated water storage cells, as again, it  
21 provides comparative data for plant performance. This  
22 allows us to detect non-compliant water -- non-compliant  
23 quality water and return it for re-treatment.

24                   Some parameters we plan to monitor daily  
25 there are pH, TSS, and total arsenic. Fin -- finally, we

1 also plant to monitor the water exiting the treated water  
2 storage cells. This should confirm that our water is  
3 treatable -- is suitable for discharge. And we plan to  
4 monitor flow rate continuously, metals, pH, TSS weekly,  
5 and monthly, acute lethality tests.

6 We have several contingency plans in  
7 place, the first of which is to provide extra capacity at  
8 the new plant. And how this is done, we estimated that  
9 our peak flows are -- earlier we estimated that our peak  
10 flows were 30 litres per second. What I did not mention  
11 was that this included a 10 percent downtime, and a 20  
12 percent contingency.

13 We also have room to install a third  
14 treatment train if this is found necessary. We have  
15 provided backup equipment, and multiple injection points  
16 for our oxidant as the process will be less effective  
17 without oxidization.

18 We also have the effluent storage cell,  
19 which we plan to use to hold noncompliant effluent, and  
20 return it to the start of the process for re-treatment  
21 prior to the storage area. We also have several other  
22 contingencies that were presented earlier.

23 Several design variants: What we found is  
24 that our pro -- our proposed process does conform to the  
25 overall objectives. The first is minimizing contaminant



1 release via water treatment. We also indirectly assist  
2 in the restoration of Baker Creek, and reduce public  
3 health and safety risk simply by reducing the arsenic  
4 loading/exiting our treatment plant.

5 We also plan to reduce our worker health  
6 and safety risk, as we plan to automate our process as  
7 much as possible.

8 So, some of these variants are a choice of  
9 oxidant. We decided to go with potassium permanganate,  
10 as we found out it's more effective in cold water than  
11 hydrogen peroxide. We've included additional liquid  
12 solid separation steps to lower their solids  
13 concentration, and to lower the TSS concentration, as we  
14 plan to use our treated water for chemical makeup.

15 We've included polymers, just to include  
16 our set -- settling characteristics. We also have our  
17 treatment volumes. As Bob discussed earlier, this is  
18 approximately 630 cubic metres for the average, and  
19 823,000 cubic metres per year of peak in the short term,  
20 and 405,000 cubic metres per day, and 518,000 per day in  
21 the long term.

22 And our short term arsenic concentrations  
23 are 76.8 milligrams per litre as an average number, with  
24 280 milligrams per litre as our peak. In the long term,  
25 we expect that this should fall to approximately 2.9

1 milligrams per litre.

2                   So, to summarize our presentation, we  
3 expect that the plant will treat up to 34 litres per  
4 second of minewater. Sampling and monitoring programs  
5 will be in place, both pre- and post-water treatment  
6 plant. Our dewatered residuals are to be stored in an  
7 on-site engineered landfill. We plan to perform bench  
8 scale and pilot tests. And most importantly, this is the  
9 most important part of my presentation, several -- non-  
10 complaint effluent will not be discharged. We will have  
11 several contingency plans in place, and this water  
12 treatment plant should conform -- will conform to the  
13 overall project objectives.

14                   So, I will hand it over to Nathan to talk  
15 a bit about the diffuser.

16                   MR. NATHAN SCHMIDT: Thanks, Kyla.  
17 Nathan Schmidt. And I want to talk a little bit now  
18 about what happens at the downstream end of this  
19 treatment train, and about the -- the diffuser that's  
20 going to be in place at the -- at the end of the  
21 pipeline.

22                   Now, the -- the diffuser, it's a standard  
23 practice to -- to manage the mixing of effluent with  
24 natural receiving water, and some of the key components  
25 that we're going to talk about today are where it is,

1 what it's going to look like, what the regulatory  
2 requirements for these types of things are, and a  
3 description of the modelling that's been done to support  
4 the design.

5                   Now, as for the location, I think there  
6 were -- you know, in the DAR, it was a little less  
7 specific, but the -- the preferred location right now is  
8 -- you can also see up on the wall there a map that  
9 details this, relative to the -- the Giant Mine site, and  
10 you can see Old Town, and the main part of -- of  
11 Yellowknife there. Off shore in the bay is where the  
12 diffuser is, or is planned to be.

13                   What's shown in the green there is the  
14 size of the mixing zone. And you can see from the  
15 contours there that it's off in a deep water area. I'll  
16 discuss that a little bit more as we move along.

17                   But the -- the actual physical design of  
18 the diffuser, what we're looking at is a supply pipeline,  
19 273 millimetres. That's 10 inch nominal HDPE pipe. And  
20 we would have an 81 metre length of that with alternating  
21 ports. To start with, we would have twenty-eight (28)  
22 ports, and what those ports would look like is a riser  
23 that would get the pipe up about a metre off the ground,  
24 off the bed. That's about a 64 millimetre diameter, I  
25 believe. And then, right at the top of that, a very

1 narrow bit of pipe that basically is a half-inch internal  
2 diameter.

3                   Now, the -- the reason for this  
4 configuration is that we want to burn as little energy as  
5 possible to get the water to the outlet location. That's  
6 why we have a large-diameter pipe in the -- the lower  
7 frictional losses, but when we get to the end, we need  
8 that extra oomph to provide the momentum for the water to  
9 provide mixing once it gets out into the bay. And so,  
10 what we're looking at is a -- a series of -- of twenty-  
11 eight (28) of these in the short term.

12                   Longer term, like Kyla talked about, the  
13 flow rates will drop off, and so as the flow rates drop  
14 off, we still want to preserve our velocities, exit  
15 velocities, to keep that mixing up, and so what would  
16 need to happen is divers would need to go down and -- and  
17 turn off some of those ports. They would alternate in  
18 opposing directions, so every second one would face  
19 roughly north; every second one would face roughly south.

20                   One (1) thing I should note is we are  
21 going to have a scale model of this delivered sometime  
22 today. It's already supposed to be here, but I haven't  
23 seen it yet, so I won't dwell too much on this. But  
24 you'll get a chance to -- to have a look. I think it's  
25 about a one-fifth (1/5th) scale model of a section.

1                   MR. ADRIAN PARADIS:    It is in the back --  
2 back of the room.

3                   MR. NATHAN SCHMIDT:    Okay.  Excellent,  
4 excellent.  So, at lunchtime, everybody can go have a --  
5 have a look.

6                   The other important thing is that the  
7 nozzles actually come off at a thirty (30) degree angle.  
8 This is a -- of course, what we're working with right  
9 now.  Pointing them straight upwards, especially under  
10 ice conditions, we couldn't achieve optimal mixing, and  
11 there's also concern with pointing them, you know,  
12 anywhere near to downwards from a sediment resuspension  
13 perspective.  And so that's the -- the current design is  
14 -- is that angle.

15                  Now, how does that look?  How do we get  
16 from the water treatment plant out to the diffuser?  
17 Basically, what we're going to have is that pipeline  
18 laying on the bed of the bay.  It's about almost 3  
19 kilometres of pipeline.  And we need that to get it out  
20 into an area where we've got a sufficient depth that we  
21 can get mixing under ice-covered conditions, under  
22 stratified conditions, that sort of thing.

23                  So, in terms of the regulatory  
24 requirements, we've -- we've had a lot of talk about --  
25 about meeting water quality standards in the -- in the

1 receiving environment. I think Bob and Kyla have covered  
2 that off pretty well.

3                   One (1) of the key aspects here is the  
4 concept of a mixing zone. And so this is a -- you know,  
5 a fairly standard sort of approach, is to meet these  
6 requirements at -- at some distance, not too far from the  
7 diffuser, so we can take advantage of that mixing that's  
8 happening. And a 15 metre radius was the target from the  
9 diffuser ports where we want to achieve those -- those  
10 standards. So, keep that number in mind when we see some  
11 of the graphs that come after this.

12                   This is basically the -- and you've got  
13 this in front of you in the handouts, but it -- it should  
14 correspond to, you know, the water treatment plant  
15 numbers, as well. And you can see, you know, background  
16 concentration is the defining factor for some of the  
17 constituents, drinking water guidelines and CCME,  
18 basically going with the -- the critical, most critical.

19                   So, the mixing zone, again, you know,  
20 we've got the water surface being one (1) boundary, we've  
21 got distance to either side, and that's our 15 metres,  
22 and also 15 metres in and out of the screen there.

23                   So, the modelling, we used a -- a model  
24 called Core Mix (phonetic). It's a well-established kind  
25 of near-field mixing zone model. And what you can see

1 is, for the open water condition where we have, you know,  
2 approximately a 9 metre depth of water, the -- the key  
3 contour that we're looking at here is the second one in,  
4 'cause that's where we get our 100:1 mixing ratio, so one  
5 (1) part mine water, a hundred (100) parts ambient water.  
6 That's where we should achieve that level of mixing.

7                   What was also checked was adding another  
8 50 percent to that for a factor of safety. So, we should  
9 achieve 150 percent, or 150:1, mixing well within our 15  
10 metre mixing zone for this.

11                   There were quite a few model runs done,  
12 over three hundred (300) model runs, looking at different  
13 situations, different flow currents; flows, kind of with  
14 the -- the direction of the diffuser, perpendicular to  
15 the direction of the diffuser, and that sort of thing.  
16 So, all of these were checked. This is just a -- kind of  
17 a subset of the results that we're putting up here.

18                   And this is open water with a near  
19 stagnate current, okay, under the ice cover period where  
20 we have 2 metres of ice on the bay. What you can see is,  
21 we get that 100:1 mixing below the ice cover, and 150:1  
22 just touches it.

23                   And in a stratified condition -- of course  
24 a stratified condition, we're also anticipating almost no  
25 flow velocity, so that actually accounts for the -- the

1 shorter distance from the diffuser port. You know, our  
2 mixing zone is up here, but over here is where we're  
3 achieving our -- our 100:1. And stratified, by that we  
4 mean warmer water in the summer time over a layer of  
5 cooler water down below.

6 Another look at it in plan view, and this  
7 is of -- of a single port again, and the reason we're  
8 showing this is, remember I said that the diffusers will  
9 -- the ports will be at a 3 metre spacing, and the other  
10 thing we want to do is make sure that they don't overlap  
11 next to each other. So, there -- there would be another  
12 port here going this way, and then another port up here  
13 going this way, and so we have adequate separation there  
14 that the -- we don't get overlap during the mixing.

15 So, a couple of issues that have come up  
16 over the last little while; concerns with thinning of the  
17 ice cover under winter conditions. And it is possible  
18 that some local thinning of the ice might occur. You  
19 know, we could deal with that to some extent by adjusting  
20 the port angle downwards to keep that plume further down.  
21 But, again, we're not just mixing the chemical  
22 constituents here, we're also mixing warm water with  
23 cooler water at, you know, 100:1 ratio. It's not a --  
24 you know, there are some other thermal effects there, but  
25 essentially we're going to end up at the outside boundary



1 of that plume with a cooler mixture, sort of thing.

2                   So it's not like we're going to have 8  
3 degree water hitting that that ice. It's going to be a  
4 lot closer to ambient.

5                   Bottom sediments. Like I said, we don't  
6 want to resuspend those. We want the ports sufficiently  
7 far above the bay bottom, that we're not going to get  
8 entrainment of fine sediments in those -- in those jets.  
9 And so that's something again, adjusting the angle, and  
10 looking at that a little closer during the detail design  
11 process.

12                   So, in summary, you know, the design of  
13 the diffuser considers the water quality in the Bay, and  
14 the regulatory guidelines, and -- and what we're  
15 anticipating coming out of the plant. So, there -- those  
16 all have a firm basis. We want to achieve, you know, our  
17 mixing at at least a 100:1 ratio, and I've shown -- I've  
18 shown that there's, you know, a factor of safety in there  
19 within 15 metres from the diffuser ports. And like I  
20 just said, the bottom sediments and ice cover thinning  
21 are both factors considered in the design, as well.

22                   So, that brings us to a close on this part  
23 of the presentation. So thank you.

24                   MR. BRUCE HALBERT:    So, Bruce Halbert.  
25 I'm going to provide an overview -- overview here on the

1 surface water environment, and I see by our timing I've  
2 got like five (5) minutes to do it, but I might take a  
3 couple minutes more than that.

4 I want to start by just presenting an  
5 overview on the reduction is expected in the arsenic  
6 loadings to the surface water environment, as a result of  
7 the combined effects of all project activities.

8 The first point I make here is that the  
9 frozen block method will effectively isolate the arsenic  
10 trioxide in underground vaults, and thus minimize  
11 significant adverse environmental effects that might  
12 otherwise occur. And I'm going to come back to that  
13 point in a -- in a few slides.

14 The second point I make, is that the  
15 shifting the discharge point for the treated minewater to  
16 -- to a new outfall location in Yellowknife Bay, combined  
17 with other remediation activities on the site, will  
18 effectively reduce the arsenic loading from an estimated  
19 800 kilograms per year in -- at the outlet at Baker  
20 Creek, to 480 kilograms per year, which represents  
21 approximately a 40 percent reduction.

22 The third point I'd make is that, relative  
23 to current conditions, and respecting the loadings to --  
24 to Yellowknife Bay in -- in the bigger picture, it's  
25 expected that the overall load would reduce from 910

1 kilograms per year to 690 kilograms per year, or  
2 approximately a 24 percent reduction.

3                   And, lastly, the -- over time, these  
4 reductions are expected to result in measurable  
5 improvement in water quality in Baker Creek and  
6 Yellowknife Bay.

7                   This slide shows a breakdown of the  
8 various arsenic sources in and around the -- the mine  
9 site. I mentioned this 480 kilograms per year as the  
10 expected load out of Baker Creek. It includes a load con  
11 -- contribution from drainage to the west of Baker Creek  
12 off the Giant mine site, per se, that drains into the  
13 creek. We have a -- an upstream load coming in of -- of  
14 220 kilograms per year, which represents approximately 40  
15 percent of the total load that's carried through Baker  
16 Creek to the outlet.

17                   In addition, we have the internal sources  
18 within the Giant mine site itself. And then there's this  
19 shoreline contribution to Yellowknife Bay that, in total,  
20 makes up these 690 kilograms per year projected into the  
21 future.

22                   This next slide provides an overall  
23 summary of the information that you just saw in the  
24 previous slide, and I just -- I'm going to focus here  
25 initially on these first -- these two (2) columns, one

1 called "Current" and "Post-Remediation". And, again, it  
2 just summarizes what I said.

3 We have 220 kilograms per year coming in  
4 Baker Creek, inflowing to the -- to the mine site. We  
5 have approximately 67 kilograms per year coming in from  
6 the west side of the site. The current effluent  
7 discharge from treating minewater plus surface drainages  
8 is -- contributes approximately 290 kilograms per year.

9 We have a -- a surface flow component from  
10 facilities into Baker Creek estuary from the Giant mine  
11 site, per se, of 220 kilograms per year. In the future,  
12 we're -- we've conservatively reduced it to a hundred and  
13 ninety (190), which is a small reduction, but we're just  
14 being conservative. In reality, over time, I'd expect it  
15 would be more.

16 These two (2) columns add up to the 800  
17 kilograms per year current, 490 -- or 80 kilograms per  
18 year in the post-remediation case, and that's for Baker  
19 Creek. And then the similar summary for Yellowknife Bay.

20 Now, this doesn't really look like a --  
21 much of a reduction overall when you consider, you know,  
22 all the work and activities that are going to be  
23 undertaken, but if we put it in a perspective here, if no  
24 remediation works were to be undertaken -- in other  
25 words, the -- you know, we didn't implement the frozen

1 block, we stopped treating minewater and eventually  
2 there's an outflow of minewater into Baker Creek and Back  
3 in it -- Bay -- we estimate that we could look at a -- a  
4 contribution of approximately 7,000 kilograms per year of  
5 arsenic from the underground mine workings. So, there's  
6 a definite need for the project in the -- in the big  
7 picture.

8                   Turning to environmental quality, we  
9 evaluated this luc -- in two (2) basic sets of criteria.  
10 First is a comparison of predicted arsenic levels in the  
11 post-remediation period to environmental quality  
12 guidelines under criteria. The second is, we undertook a  
13 human health and ecological risk assessment work, where  
14 we could -- we reassess both risk for current conditions,  
15 as well as in the post-remediation conditions.

16                   This slide summarizes some of the  
17 information, looking at it from a water quality  
18 perspective. This row I'm pointing to in the slide pro -  
19 - provides a summary of the expected arsenic, mean  
20 arsenic levels, if you will, in Baker Creek, 118  
21 micrograms per litre; in Back Bay, at 3 micrograms per  
22 litre; moving to north Yellowknife Bay, of 1.4; and it  
23 was approximately .6 micrograms per litre in south  
24 Yellowknife Bay.

25                   We're comparing here to the Canadian

1 freshwater guideline value of 5 micrograms per litre. We  
2 can see that we -- the checkmarks mean we -- we're below  
3 those levels, or we're -- we're in good shape. The "X"  
4 in Baker Creek obviously indicates we have an exceedance  
5 of the water quality guideline.

6                   On the right-hand side of this slide,  
7 we're com -- doing the same comparison now to the  
8 drinking water guideline provided by Health Canada uptake  
9 in micrograms per litre. Again, we don't have an issue  
10 in -- in Yellowknife Bay. In -- only in Baker Creek do  
11 we exceed -- exceed the guideline.

12                   Turning now and looking at it from a -- an  
13 ecological risk perspective, and this slide look -- is  
14 looking at aquatic species, again this is for the  
15 remediation case, or post, we assessed -- compared the  
16 predicted concentrations to toxicity reference values, or  
17 benchmarks, as we often refer to them, for each -- for  
18 several different plan -- species, including aquatic  
19 plants, benthic invertebrates, and predator fish, and  
20 forage fish.

21                   In -- throughout the Yellowknife Bay area,  
22 which is including Back Bay, and -- and north and south  
23 Yellowknife Bay, we see we're below the benchmark values  
24 in all cases, so again there's little -- little  
25 ecological risks in those water bodies.

1 Baker Creek, we're below criteria with  
2 respect to aquatic plants. And for benthic  
3 invertebrates, comparing them here only to surface water,  
4 not sediments criteria.

5 We -- we did indicate, or do indicate a  
6 potential exceedance, or risk, if you will, to predator  
7 fish and forage fish, and this is comparing both to  
8 what's commonly referred to as EC-25 and EC-10 values,  
9 toxicity benchmark values. The field evidence though in  
10 recent years is that we -- we have seen fish migrate back  
11 into that system. And, as Nathan indicated, there is  
12 active spawning occurring within the Reach 4, and with  
13 both large body and small bodied fish present in that  
14 system in the -- in recent years, so that's a good sign.

15 I'm now going to move forward quickly to  
16 talk just about monitoring and surface water quality.  
17 The DAR outlines a program, which includes continued  
18 operation of -- of the surveillance and the network  
19 program on Bak -- Trapper Creek and Baker Creek. There's  
20 approximately eight (8) stations in total included in  
21 that program.

22 We're proposing new sampling stations in  
23 Great Slave Lake, with three (3) of them located in Back  
24 Bay, and four (4) in Yellowknife Bay. And I'm going to  
25 have maps that show that in just a moment. And then

1 ongoing sampling of surface water seeps and on -- under  
2 any surface drainages that are observed onsite.

3                   This figure is a little bit busy, probably  
4 hard to read, but it basically identifies the locations  
5 where monitoring would be undertaken in Baker Creek, from  
6 the mouth up to above Baker Pond. And then in Trapper  
7 Creek there's a couple of locations. And then some  
8 surface seepage, or samples that -- sampling work that's  
9 undertaken on the site when observed.

10                   In -- in Yellowknife Bay, we proposed that  
11 there would be two (2) locations -- or three (3)  
12 locations within Back Bay, two (2) of them in line with  
13 the -- the mouth of Baker Creek and out towards where the  
14 outfall is proposed to be located, and a third location  
15 offshore from -- from Latham Island. In Yellowknife Bay  
16 itself, we were proposing that it -- there should be one  
17 (1) near the mouth of Yellowknife River, a second station  
18 near the discharge location of the outfall opposite the  
19 city of Yellowknife, and further south opposite the  
20 community of Dettah.

21                   Besides the surface water monitoring  
22 program, we've also proposed in the DAR there would be  
23 fish monitoring undertaken.

24                   Boy, this is a funny looking slide. Yeah,  
25 something happened in the -- okay, sorry about that.



1 Fish monitoring in Baker Creek and  
2 Yellowknife Bay would be undertaken every three (3) years  
3 to assess fish health and fish tissue chemistry.

4 Aquatic effects monitoring would be  
5 undertaken every three (3) years to evaluate the effects  
6 of the treated mine water discharge to Yellowknife Bay.  
7 There's a comparable program in place today on Baker  
8 Creek relative to the current operation.

9 I also propose that there would be benthic  
10 invertebrate, aquatic vegetation, and sediment monitoring  
11 at Baker Creek, again undertaken in a three (3) year  
12 cycle to determine how recovery is occurring within that  
13 system.

14 Boy-oh-boy, my printout doesn't look like  
15 that. Good thing.

16 Besides that, we've -- also proposing in --  
17 - in overall conclusion, for Baker -- Baker Creek  
18 environmental quality is expected to improve as a result  
19 of remediation pro -- of remediation works; however, it  
20 is not expected to return to pre-mining conditions, and  
21 that should be quite obvious.

22 Back Bay and Yellowknife Bay water quality  
23 has improved dramatically in the past several decades,  
24 and is expected to continue to improve.

25 Arsenic levels in water today are below

1 criteria that are protective of all forms of aquatic  
2 life. Arsenic levels in bac -- in Yellowknife Bay are  
3 also well below Health Canada's drinking water guideline  
4 of 10 micrograms per litre.

5           The proposed outfall to Yellowknife Bay  
6 will not adversely impact the arsenic level in -- in the  
7 Bay, beyond the initial mixing zone that Nathan has  
8 described. As indicated in the preceding presentation,  
9 the treated mine water discharge will -- will be fully  
10 mixed with mine -- with lake water within 15 metres of  
11 the outfall.

12           Consistent with the overall -- overall  
13 objectives, the remediation project will result in an  
14 overall improvement in -- in the quality of the surface  
15 water environment. To confirm these conclusions and  
16 identify any adaptations that may be required, a  
17 comprehensive environmental monitoring program will be  
18 put in place.

19           Thank you very much.

20           THE FACILITATOR HUBERT: Chuck Hubert,  
21 with the Review Board. Thanks very much for those series  
22 of presentations on Baker Creek groundwater, the water  
23 treatment plant, the diffuser, and surface water quality.

24           At this time I'd like to open up the floor  
25 to parties for questions of the EA team -- or not the EA

1 team, the Giant Mine team, sorry.

2

3 QUESTION PERIOD:

4 MR. TODD SLACK: Todd Slack, YKDFN. I'll  
5 go first, and with a human health question. And sorry,  
6 your name plate's fallen off.

7 MR. NATHAN SCHMIDT: Nathan Schmidt.

8 MR. TODD SLACK: Nathan Schmidt. I think  
9 you're the man this is addressed for.

10 You talked a -- a little bit in terms of  
11 the ice situation, and this is a, you know, a very  
12 significant concern in the short-term, and you talked  
13 about a potential thinning. Like I'm not sure if you've  
14 been to this area in the -- the winter, but this is the,  
15 you know, essentially the primary corridor of travel, and  
16 a -- a thinning of the ice will -- and as we see in  
17 Jackfish Lake, which Jackfish is just a -- you know,  
18 people drive -- it's not the -- no one goes there on  
19 purpose, right.

20

21 (BRIEF PAUSE)

22

23 MR. TODD SLACK: I'll -- I'll -- yeah,  
24 I'll reserve comment on why you would go there on  
25 purpose.

1                   So, I have a couple of questions. In  
2 terms of when you say that there's potential thinning,  
3 what are we talking about here, both in terms of a safety  
4 aspect and in terms of a temporal aspect? Are people not  
5 going to be able to use that? Can I get some more  
6 information on this.

7

8   (BRIEF PAUSE)

9

10                   MR. NATHAN SCHMIDT: Nathan Schmidt. And  
11 the -- the first answer to that is it hasn't been looked  
12 at quantitatively yet.

13                   Okay. So, we don't have numbers. That  
14 would be something that would have to be assessed during  
15 detail design.

16                   Mitigating that though, we're expecting  
17 some very small temperature differences. And so, you  
18 know, going from 2 metres ice, you know, we're expecting  
19 small changes.

20                   And so to be confirmed. Okay. We  
21 recognize it is an issue, but we don't have hard numbers  
22 yet.

23                   MS. LISA DYER: I'm just going to follow  
24 up on Nathan's comments; is that, Todd, being -- having  
25 lived in Yellowknife for over seventeen (17) years, I

1 understand the use of that area and the importance of  
2 that area, and so I am working with the design teams to  
3 look at these issues.

4                   This has been one (1) of the number 1  
5 issues that has been given to the design team; they're  
6 aware of it. And one (1) of the things that we're  
7 proceeding on is we are doing further work to look at  
8 that quant -- quantitative nature of -- we do not believe  
9 it's going to be substantial, but that as part of the  
10 work that's going to be done this fall into the winter is  
11 looking at those dynamics.

12                   So, this is on the books, this is an  
13 important concern, and we are -- we have proposed plans  
14 to provide more information to people.

15                   MR. TODD SLACK: Okay. In -- a comment  
16 and two (2) questions on -- on that then. So, the -- the  
17 issue is not whether it's 2 metres at ice January 31st;  
18 the issue, as I'm sure you're conveying, but to be clear,  
19 is on April 21st, can I be skidooing through that area as  
20 people do now?

21                   So the two (2) questions are, 1) when can  
22 we expect further information, because this is a -- you  
23 know, if you're going to propo -- continue the proposed  
24 diffuser, this is a requirement for the parties to know  
25 in the EA process; and number 2), is this being

1 considered in what we're seeing already in terms of the  
2 ice changes with climate change?

3                   When you talk to Elders, you know, then  
4 they'll -- they'll tell you at length as to the -- the  
5 significant changes of ice, especially in the Yellowknife  
6 area. So, I think we're looking at a -- a confluence of  
7 events here.

8                   MS. LISA DYER: Thank you. Lisa Dyer.  
9 I'll answer that question, Todd. Is -- yes, this is  
10 being considered, and we are considering it in the long  
11 term with climate changes and how we expect the ice  
12 conditions to change in the future.

13                   As for answering when we'll be able to get  
14 this information back to you, I'd actually like to talk a  
15 little bit further with John Hull and Nathan -- and, as I  
16 said, this work has been identified -- and come back with  
17 a more realistic answer for you. I should be able to do  
18 that before the end of the day. I'd just like an  
19 opportunity to talk to them during a break, so that we  
20 can confirm that for you.

21                   MR. TODD SLACK: Todd Slack, YDKFN.  
22 Thanks very much.

23                   THE FACILITATOR HUBERT: Thank you.  
24 Chuck Hubert, the Review Board. I'd like to go to our  
25 technical advisor, Lukas, for a question, please.

1 MR. LUKAS ARENSEN: Lukas Arenson. I've  
2 just a follow-up question. It's more of a technical  
3 nature. When I see the diffusion, what you'd shown in  
4 slide -- I think it's -- was 20, 28, or on page 28, did  
5 you consider any convective heat transfer that's going on  
6 there? Because what you'll get is -- you're going to get  
7 temperature mixing in there, and was that considered?

8 MR. NATHAN SCHMIDT: Sorry. Nathan  
9 Schmidt. I would have to follow up on that one with the  
10 people that actually did the modelling. I could make a  
11 phone call at lunch just to confirm on that.

12 MR. LUKAS ARENSEN: Okay. That -- that  
13 would be good to know, because it's -- it goes into  
14 Todd's question of how much ice thinning you actually get  
15 when you have that additional gravity-driven flow at the  
16 diffuser.

17 MR. NATHAN SCHMIDT: We'll -- we'll  
18 follow up on that at lunchtime.

19 THE FACILITATOR HUBERT: Chuck Hubert.  
20 Thank you very much. And, Lukas, if -- if you can remind  
21 us of that after lunch, that'd be great.

22 MR. LUKAS ARENSEN: Okay, yeah.

23 MR. KEVIN O'REILLY: Thanks. Kevin  
24 O'Reilly. This was on -- for Alternatives North. This  
25 was on my list as well as the diffuser design, and I just

1 want to contrast the responses to the IRs that the  
2 developer gave, that we submitted one (1) number,  
3 fourteen (14). They said: No problem; ice, no problem  
4 at all. Then, when the City asked the same questions,  
5 the -- the response to the City was, Well, we might have  
6 to post signs, we might have to flag the area like they  
7 do at Jackfish Lake.

8                   You guys need to get your act together  
9 when you respond to the IRs a little bit better and --  
10 and make the -- the responses a bit more consistent, if I  
11 can suggest.

12                   But having a -- a diffuser that's 81  
13 metres long in the bay, you could have this big trough  
14 out there that's thin ice, and that's a public -- that's  
15 a public safety issue. It's a liability issue for you  
16 guys. If anybody ever goes through the ice because of  
17 the thinning, you're going to get sued. So, you need to  
18 resolve this during the EA.

19                   I'm just, quite frankly, astounded that  
20 you've done the mixing in terms of the chemical stuff,  
21 but you haven't done the thermal modelling. I raised  
22 this issue a year and a half ago at a public session that  
23 was put on by you folks, and here we are without the  
24 thermal modelling work done. So, better get on with it,  
25 folks. Thanks.



1 THE FACILITATOR HUBERT: Chuck Hubert.

2 Thanks very much. Question for Alan here?

3 MS. LISA DYER: Lisa Dyer here. I'd like  
4 to respond to some of those comments, because those were  
5 very bold comments. And I think, first of all, when it  
6 comes to -- you mentioned about the two (2) approaches to  
7 the IRs. Now one (1) of the things is -- is that we are  
8 looking at, and have looked at, the issue of ice cover  
9 and the effects on ice cover, and so we responded to  
10 that.

11 Now, at the same time, we want to be  
12 proactive, and we want to make sure that everyone is  
13 aware that there's a diffuser in the zone. So, the  
14 answer to the City of Yellowknife is saying, We don't  
15 feel it will be a problem, but we also feel that we need  
16 to make the public aware that there is a diffuser in that  
17 area, and we -- we are going to -- it's just not a matter  
18 of putting it in and saying there's no problem. As with  
19 any aspect of remediation, we have to monitor, follow up,  
20 make the public aware. And these are things that we  
21 talked about in the perpetual care workshop, is that  
22 informing the public is -- is an important element, and  
23 that not everyone's going to be aware of the Giant Mine  
24 project.

25 So, building on what you've brought up in

1 the perpetual care workshop, Kevin, is we are looking at  
2 the modelling, and we do feel that there's a  
3 responsibility to communicate with the public on what's  
4 happening out there. I -- I don't see that there's a  
5 disconnect.

6                   As for following up with the thermal  
7 modelling, I want to be fair to -- Nathan is not the  
8 expert who did the modelling, and so we do have an expert  
9 that has done the modelling, and, unfortunately, he is  
10 not in the room at this moment. So, I want to make it  
11 clear that it's not that we haven't done work. There is  
12 additional work that needs to be done, we're  
13 acknowledging that. I think we need to have an  
14 opportunity to be able to give Nathan a chance to talk to  
15 the expert and make sure that we can answer your  
16 questions adequately.

17                   So, it would be helpful if we could  
18 clarify what you're looking for. As I said, the modeller  
19 was unable to be here, and so Nathan, being very  
20 knowledgeable on these issues, is here to provide  
21 information, but, at the same time, he is not the  
22 modeller, so I don't -- I just want to be fair to him as  
23 well. We will get you the information that you are  
24 looking for.

25                   MR. KEVIN O'REILLY: Thanks. Kevin

1 O'Reilly, Alternatives North. I -- I didn't blame Nathan  
2 in any way; that certainly wasn't my intention. But the  
3 responsibility lies with the developer. I raised this  
4 issue, as I said, over a year and a half ago at a public  
5 meeting that you folks had, and the information is still  
6 not available.

7                   So, I don't know what -- what the issue  
8 is, but this is a serious public safety issue. It --  
9 this concern's been raised, and if you can get on with it  
10 and it -- I think it needs to be resolved within the  
11 timeframe of this EA. It's not something that can be put  
12 off. And whatever resources you need to do it and get it  
13 done in time, the sooner the better. So, please get on  
14 with it.

15                   MS. LISA DYER: So, Kevin, I would like  
16 to just reiterate: What exactly are you looking for so  
17 that we can try and provide the information that we have  
18 after lunch? And then we can provide further  
19 clarification on the additional work that's been done.

20                   I just want to make sure that we're all on  
21 the same page and that we're able to respond to some of  
22 your requests.

23                   MR. KEVIN O'REILLY: Thanks. Kevin  
24 O'Reilly, Alternatives North. Look, I'm not an engineer.  
25 I don't know. You guys need to be able to prove to us,

1 the public, that it's going to be safe for people to use  
2 in the winter. So, whatever you need to do to do that,  
3 do it.

4                   You -- how thin is the ice going to be in  
5 that 81 metre long diffuser? What's the width of it  
6 going to be? Is there a reduced period during the winter  
7 when it -- it can be used?

8                   I don't know what the weight of a  
9 snowmobile is going across there. Pressure waves.

10                   You know, look, I'm not a person that can  
11 tell you what the research is that you need to do, but  
12 you need to be able to prove to the public that that area  
13 is going to be safe.

14                   MS. LISA DYER: Thank you, Kevin. That -  
15 - that's very helpful to have this discussion so we can  
16 identify your -- your concerns and -- and be able to  
17 respond appropriately. We will come back after lunch.  
18 We're going to need -- we're going to talk a little bit  
19 further with the expert on modelling, and we will talk to  
20 the issues specifically on ice thickness and safety, of  
21 what we have and where we're going.

22                   MR. KEVIN O'REILLY: Sorry, one (1) last  
23 thing. Kevin O'Reilly, Alternatives North. I guess I --  
24 I also would want to know the timeframe in which this is  
25 going to get delivered, because, in my opinion, it needs

1 to be resolved in the EA phase. This is not something  
2 for the -- the regulatory stuff. We need to know this  
3 within the EA phase. So, if you can -- and it needs to  
4 be done before the hearing, presumably, unless you want  
5 this brought up at the hearing. Thanks.

6 THE FACILITATOR HUBERT: Thank you very  
7 much for the -- the questions and the answers. Alan...?

8 MR. ALAN EHRLICH: Thanks. Before I give  
9 my question, I thought I heard Lisa say earlier that  
10 she'll try to provide more information about the ice  
11 before the end of the day. Is that still the timeframe  
12 you're planning to respond on, or -- because, from what I  
13 just heard, I got the sense there was a longer timeframe  
14 involved, too?

15 MS. LISA DYER: Lisa Dyer. Just to  
16 clarify, we will -- we want to talk with the modeller to  
17 make sure that we accurately reflect the modelling work  
18 that was done, and then we will present what work is  
19 going forward to confirm the modelling that has been  
20 done.

21 There's two (2) things. There's modelling  
22 that's been done, and then confirmatory work, and we will  
23 clarify that after lunch. We just need an opportunity to  
24 make sure we are representing the modeller's work. And  
25 modellers are very interesting people, and I do not want

1 to try and explain their work without a little bit of  
2 help.

3 MR. ALAN EHRLICH: That's fair enough.  
4 Nathan, you wanted to add something to that?

5 MR. NATHAN SCHMIDT: Yeah, just -- just  
6 one (1) clarification, and I -- I will follow-up on -- on  
7 this.

8 But... (AUDIO CUTS OUT)

9 MR. ALAN EHRLICH: ...crossed on foot the  
10 ice every day there was ice, and I -- I was really struck  
11 -- my first-hand observation, I was really struck at how  
12 much less homogenous it was than I thought. I thought it  
13 was all going to be uniform.

14 And I remember one (1) time in December,  
15 it was probably minus thirty-eight (38), and I had  
16 augured something through at least a foot and a half of  
17 ice, touched the ice 5 feet away with a tow, and it gave  
18 way to completely open water, that I wasn't standing on  
19 that the time, so I was happy about that. But -- but the  
20 -- what I realized was that if the currents aren't moving  
21 much under the ice, it doesn't take that much to make a  
22 real change on the surface.

23 And I -- I don't understand enough about  
24 how -- how heat transfers through water to know that this  
25 won't just go up if there's not much movement, and erode

1 the ice from -- from underneath. So, I -- I mean I  
2 understand the -- the concerns that are being said; my  
3 question's more about the management.

4 What authority does the Giant team have to  
5 manage the -- the access and movements of people on a  
6 frozen water body?

7 I mean, you said before in response to the  
8 IRs that you could put up signs, which is helpful to  
9 those who see the signs and stop to read them, and that  
10 kind of thing, and I know you have other ways of  
11 communicating. But can you do other stuff to stop it if  
12 you find out there is going to be a big trench of thin  
13 ice? I -- I don't know where the authorities of the  
14 Giant team start and stop, and the response to the IR  
15 didn't really spell that out in detail.

16 Could -- could you elaborate a little,  
17 please.

18 MS. LISA DYER: Sure. Lisa Dyer. Our  
19 design objectives are to design it so that there is not  
20 an ice thickness issue. Just to be paramount, that is  
21 the overall objective. We do not want to see a problem  
22 there. That's not the intention.

23 So, the design is to -- again, two (2)  
24 things we're focussing on, because they're important to  
25 all of us that live in Yellowknife, is first of all we

1 don't want sediments being disturbed; and second of all,  
2 we want to maintain the integrity of that ice-cover in  
3 that area.

4                   Now, with that being said, if there's a --  
5 if there's a fatal flaw in that design where we see  
6 something, we are going to take measures to correct that.  
7 That's not an acceptable outcome. However, at the same  
8 time we have a responsibility to let people know that  
9 there's a diffuser in that area, whether people --  
10 whether open-water or underwater, and we need to do that  
11 through communications, and if -- signage is helpful, as  
12 well.

13                   But, I just want to clarify that our  
14 intention is not to design an area of weak ice. That is  
15 not an acceptable outcome to the design.

16                   Now, to be -- to let everyone know how  
17 aware, I've gone through the ice with a dog sled team;  
18 not just getting myself out of the ice, but seven (7)  
19 other dogs, so I am more aware, and concerned, and -- and  
20 focussed on making sure this isn't an issue. Once you've  
21 gone through the ice, you don't want anyone else to go  
22 through the ice.

23                   So, there are people working on this  
24 project that appreciate the environment we live in, and  
25 the fact that we do use our waterways in the summer and



1 wintertime, and they have to be safe.

2 MR. ALAN EHRLICH: Thanks, Lisa. And I -  
3 - you know, I certainly appreciate the Giant team's  
4 commitment to not creating a hazard for people in the  
5 area. My question was more -- you mentioned if there --  
6 you're going to be monitoring -- presumably you're  
7 monitoring, so that if there's a problem you can remedy  
8 it somehow. You mentioned that if you identify a  
9 problem, you will take measures to do it.

10 My question is more what kind of measures  
11 do you have available if there is a -- if you're  
12 monitoring does turn out that there's an issue here?

13 DR. RAY CASE: Ray Case, GNWT. I think  
14 in -- in the instance where, you know, an issue is -- is  
15 identified there's -- there's opportunity for INAC,  
16 Government of Northwest Territories, and -- and in this  
17 situation, the City of Yellowknife, to identify that  
18 hazard, to work with those people that use the area,  
19 residents of Yellowknives -- Yellowkni -- Dettah, N'dilo,  
20 to -- to highlight it.

21 Certainly, the hazzards that are created  
22 in some years around the causeway to Latham Island,  
23 there's -- there's opportunity to inform people of those  
24 -- those hazzards and such.

25 So, in the -- in the event that something

1 like that were to take place, there -- there are  
2 mechanisms in place that could -- could ensure the  
3 signage and the information flows.

4 MR. ALAN EHRLICH: Thanks, Dr. Case. And  
5 I -- I understand the communications side of it, and I  
6 know that that can be effective up to a point as well.  
7 My questions was more like are there physical measures?  
8 Are there ways that you can cool the water, so that you  
9 don't have as much heat going out? Are there ways you  
10 can put up, I don't know, a fencing around it or  
11 something like that? That's -- that's kind of more of  
12 what I was getting at. You've mentioned there are  
13 options and I just don't know what those options are.

14 MR. MARK CRONK: Mark Cronk, with the  
15 Giant Mine team. There are technical options, Alan, and  
16 you've actually raised one (1) of them. We can cool the  
17 discharge on the way into the pipeline to the diffuser.

18 Nathan and the experts will likely come  
19 back after lunch saying that they've allowed for the heat  
20 aspects in the diffuser in terms of trying to get the  
21 slightly warmer water to equal the ambient lake  
22 temperature. We can add more ports, we can extend the  
23 length of diffuser, we can do parallel diffuser trains.  
24 There's a bunch of things that we can look at as part of  
25 the design.

1                   So, as Lisa said, we need to get back to  
2 the modeller to see what he's allowed for now.

3                   MR. ALAN EHRLICH:    Thanks.  That helps.

4                   MR. TODD SLACK:    Sorry, I'm going to --  
5 I'm going to jump in here with two (2) points.  And 1)  
6 that the -- I can't remember who made the commitment in  
7 the Debogorski and CGV undertakings to provide additional  
8 information in terms of prev -- preventing things going  
9 through the ice.  I forget the exact phrasing, so I think  
10 that might inform this process as well.

11                   But what I -- and listen, I -- I really  
12 appreciate the commitment in terms of the -- an ice  
13 reduction thickness not being acceptable.  Tha -- that's  
14 sol -- yeah, solid -- and I'm making Alan jokes.  But I  
15 also in the response to me -- to my initial question, I  
16 also heard there would be a timeline provided in terms of  
17 the response of future work, and I just wanted to make  
18 sure that we're both on the same page on that.

19                   MS. LISA DYER:    Lisa Dyer.  Yes, we will  
20 come back and talk about timelines.

21                   THE FACILITATOR HUBERT:   Thank you.  
22 Proceed.

23                   MR. DENNIS KEFALAS:   Dennis Kefalas, with  
24 the City of Yellowknife.  I just want some clarification.  
25 The mixing zone around the diffuser is a key component of

1 the water treatment process.

2 Is that correct? Does that mean the  
3 Yellowknife Bay forms part of the scope of this project?

4

5 (BRIEF PAUSE)

6

7 MR. ALAN EHRLICH: I just got a -- a  
8 stern look from Lisa pointing a finger at me, reminding  
9 us of course that the scope of the Environmental  
10 Assessment is -- is -- is firmly the Review Board's  
11 responsibility, while answering questions within that  
12 scope is the Giant team's responsibility.

13 The -- the way that the Review Board has  
14 articulated the scope for this assessment, it's got its  
15 general geographic scope, but any effect that comes out  
16 as a result of the -- the proposed project, whether it's  
17 right on the Giant Mine site, or off the Giant Mine site  
18 at the diffuser location, for example, is still fair game  
19 within the Environmental Assessment. It's still within  
20 the -- the scope. The Review Board, when it said it --  
21 it isn't going to look at, for example, impacts of  
22 arsenic and sediments in Back Bay, it was referring to  
23 impacts from historical depositions.

24 If this project is going to change things,  
25 the Board will carefully make its decision based on the

1 changes that it expects are likely to occur as a result  
2 of what's proposed here. So, the -- the diffuser is a  
3 new component proposed by this project and the potential  
4 impacts of the diffuser is something that the Board will  
5 look at carefully.

6 MR. DENNIS KEFALAS: Working with the  
7 City I deal with public perc -- Dennis Kefalas, with the  
8 City of Yellowknife. I deal with public perception.  
9 We've done all our homework with regard to installing a  
10 new water intake to our new water treatment plant. I  
11 mean, we've done our homework in a sense, and we've done  
12 our studies of the bay water and -- and determined the  
13 quality to be quite good, and -- and currently very well  
14 -- very good, and we could use it as our main water  
15 source.

16 But public perception won't allow us to  
17 use that as our main water intake.

18 Because of that, I'm just wondering why  
19 the replacement of the existing submarine waterline  
20 intake to pumphouse number 2 located on the Yellowknife  
21 River wasn't included as part of this, I guess, water  
22 treatment and water quality process?

23 MR. ALAN EHRLICH: I'm going to break for  
24 one (1) minute just -- I want to think carefully about  
25 this before responding.

1 (BRIEF PAUSE)

2

3 MR. ALAN EHRLICH: I'm just trying to  
4 think back, and I -- I was talking to the Giant team to -  
5 - to make sure that we're remembering the same events.  
6 But at the time that the Board made it's reasons for  
7 decision about the scope of the project, changing the  
8 water supply for the City of Yellowknife from its current  
9 location in the Yellowknife River to -- to Yellowknife  
10 Bay, I -- I don't think that had been brought to the  
11 Board's attention, and I don't think any party had asked  
12 for that to be included in the scope of the project.

13 What the Board has been saying quite  
14 consistently and explicitly, is that it would like to  
15 look at the effects of the potential biophysical, and  
16 socioeconomic, and cultural effects of the project that's  
17 proposed. But changing the City's water supply, while  
18 there may be implications with respect to -- to how  
19 people think about the Bay, if I understand your question  
20 correctly, is definitely not one (1) of the things that's  
21 being proposed by the project team, and so I -- I don't  
22 think that the Board has had any expectation that the  
23 Giant team is in a position to describe how that would  
24 affect public concern regarding the City's options for a  
25 water supply.



1 know, it's -- it's kind of a wash, if you will. We're  
2 have -- we're having a 50 percent reduction,  
3 approximately, in the load, associated with the effluent  
4 discharge.

5                   The second point I would make is that the  
6 DAR actually does address some aspects of -- of the  
7 proposed water supply intake within the cumulative  
8 effects assessment component. And in particular, they  
9 were looking at what are -- what are the possibilities of  
10 cumulative effects related to construction activities  
11 occurring in the outfall and the -- and the new intake at  
12 the same time. Because, otherwise there really is no  
13 overlapping impact to the two (2) projects. And the  
14 commitment that was made in the DAR is that INAC is -- or  
15 AANDC, will undertake to make sure that those two (2)  
16 projects do not occur at the same time. Other than that,  
17 there is no overlapping influence.

18                   MR. ALAN EHRLICH: I -- I would remind  
19 the -- the Giant team -- I -- I understand what you've  
20 said. Now, our -- our Board looks at biophysical  
21 effects, but it also is mandated to consider things like  
22 public concern, as well as social cultural effects, and  
23 things like that. And -- and so in the City's comment I  
24 -- I didn't hear a concern that the biophysical effect  
25 would reduce their -- the range of their future



1 opportunities. The question that I understood had to do  
2 more with per -- public perception.

3 But, of course, the Giant team has been  
4 wrestling with public perceptions in a variety of ways,  
5 more than others, and probably is, you know, pretty  
6 knowledgeable about how the public will respond. That  
7 still doesn't make it necessarily within the scope of  
8 this environmental assessment.

9 I mean, you've -- you've asked the  
10 question then you've heard what the Giant team thinks  
11 about it. I -- I say again that as a party you've got  
12 the option to ask more if you have to, or to do it in the  
13 form of an IR, or if you want a formal ruling from the  
14 Board, you're -- you're free to request one. But,  
15 philosophically, the Board feels strongly that the role  
16 of this environmental assessment, and the Board in this  
17 environmental assessment, is to make a wise, long-term  
18 decision about the project that's proposed by the Giant  
19 team.

20 MR. DENNIS KEFALAS: Dennis Kefalas.  
21 Thank you for that, Alan. Just -- I know you said we  
22 didn't -- the City didn't bring this to your attention as  
23 part of the original process, but there's several key  
24 members on this Board who are part of the team that --  
25 that our Yellowknifers have been here a long time, and

1 they knew all about this pipeline, and they should have  
2 thought about this as part of the -- the whole process in  
3 -- and their whole -- and the development of their DAR.

4           The biggest thing is here -- I mean, when  
5 we as employees of the City of Yellowknife, myself, Jeff  
6 Humble, Chris Greencorn, we're the ones that walk down  
7 the street everyday, walk into Canadian Tire people  
8 recognize us. I mean, we're the ones that put ourselves  
9 out there every day, and if this project goes sideways it  
10 won't be any people here that they'll be questioning;  
11 it'll be us.

12           So, I mean, the biggest part of this -- I  
13 mean, it's an environmental impact review board and  
14 assessment, I mean, this takes into account the  
15 environment of the City, which includes its residents,  
16 Giant Mines within potentially the whole -- within the --  
17 the Giant Mine itself is within the City boundaries. So,  
18 I mean, we have to look at everything here, and when you  
19 say long-term solutions, the replacement of that  
20 pipeline, which was originally replaced and paid for by  
21 the -- by the Federal Government, and to the best of some  
22 of the information that I've gathered, possibly the mines  
23 themselves, now the Federal Government is taken  
24 responsibility for Giant Mine and is letting the original  
25 developer walk away scot-free, and it's just the

1 residents of Yellowknife that will be looking for the  
2 best solution.

3                   And that's something that I have to deal  
4 with, our councillors have to deal with, and the Mayor  
5 himself has to deal with.

6                   MR. ALAN EHRLICH:    If it helps, Mr.  
7 Kefalas, instead of going directly to requesting a ruling  
8 from the Board, you're welcome to just send a letter to  
9 the Board and get a -- a -- the Board's response.  I  
10 mean, it -- there are many ways to get guidance from the  
11 Board.  For example, the Yellowknives had a question  
12 regarding the sediment and the diffuser and -- and sent  
13 us a letter just saying:  Look, we -- we want to know is  
14 this in or is this out.  Is this something you're willing  
15 to consider in your decision?  And - - and got a letter  
16 back that was clear and it public.

17                   They could have taken the request for  
18 ruling, which is procedurally slower, because various  
19 other parties have time to comment and then the Board  
20 makes a decision.  Writing a letter doesn't prohibit you  
21 from making a request for ruling later though.

22                   I would suggest that if you're still  
23 looking to pursue whether or not this is the inside or  
24 outside of the scope of the assessment, the Board will  
25 have access to the discussion here, and if you can send a

1 letter describing your -- your views on the matter to the  
2 Board, they'll -- they'll certainly respond. And as I  
3 said before, as a party you always have the option of  
4 following our formal request for a ruling process, if --  
5 if you require that instead.

6 I -- I don't really have much more to  
7 offer on that, but I -- I think you've certainly made  
8 clear what the -- the City's view is on that, and -- and  
9 how the City feels that the -- the Giant Project could  
10 affect it. Beyond that, I -- I -- I really don't want to  
11 go here.

12 I see you're nodding that's okay. So,  
13 would you be -- would you be willing to either put it in  
14 writing to the Review Board, or -- as a -- as a letter,  
15 or if necessary, a formal request for ruling?

16 MR. DENNIS KEFALAS: Dennis Kefalas, the  
17 City. I'll follow-up with a letter then to the Board.

18 MR. ALAN EHRLICH: We can -- we can  
19 normally -- depending on the timing of Board meetings, we  
20 can normally respond -- I mean the Board's committed to  
21 responding in a timely manner, and sometimes with a  
22 letter like that it can be quite short.

23 Now I -- I saw Alternatives North has a  
24 comment but I'm looking at the time. I'd rather wrap it  
25 up now. I said 12:55; it is 12:55. Let's pick it up at

1 this exact point, starting with Kevin's comment, when we  
2 get back at -- question? Kevin's question at 1:15.  
3 Thank you.

4  
5 --- Upon recessing at 11:55 a.m.  
6 --- Upon resuming at 1:15 p.m.

7  
8 THE FACILITATOR MERCREDI: Okay. I'll  
9 give a chance for everybody to find their seats and we'll  
10 get started right away.

11  
12 (BRIEF PAUSE)

13  
14 THE FACILITATOR MERCREDI: Okay. Welcome  
15 back, everybody, from the lunch break. I'll just remind  
16 everybody we have a sign-in sheet, and it's an important  
17 part of the session today, so it's back at the  
18 information table. At next break if everybody could, as  
19 they're filing past towards the washroom, sign in.

20 And, without further ado, Mr. O'Reilly had  
21 a question, and we'll start off with -- with his  
22 question.

23 MR. KEVIN O'REILLY: Thanks. Kevin  
24 O'Reilly, Alt -- Alternatives North. Just before I get  
25 to the question, there's just one (1) procedural item. I

1 understood that the developer was gonna talk about the  
2 wetting process or research or something. They had their  
3 own huddle about that.

4 Our expert, Bill Horne, has left for the  
5 afternoon. He's still in Yellowknife, but his flight out  
6 is at 5:00. So I provided his cell phone number to Lisa  
7 and Michael, and if they want to talk to him or meet with  
8 him, he -- he may still be available this afternoon.

9 So, with that, I don't know if there's  
10 anything else they want to say about this, but, if not,  
11 I'll just go ahead on the -- the question.

12 THE FACILITATOR MERCREDI: Okay. And if  
13 anything comes from that discussion that's worthy of  
14 Review Board consideration, obviously let's put that on  
15 the registry.

16 MR. KEVIN O'REILLY: It's my pref --  
17 sorry. Kevin O'Reilly, Alternatives North. It's always  
18 my preference to get something in writing for the  
19 registry.

20 THE FACILITATOR MERCREDI: You bet.

21 MR. KEVIN O'REILLY: So I'll just go  
22 ahead with my questions. I wanted to follow up on the  
23 issue that was raised by the -- the City of Yellowknife  
24 with regard to water quality in Yellowknife Bay. And I  
25 guess first off, I wanted to know -- I understand that

1 they've done some core mix modelling in the -- the near  
2 field.

3 I presume, then, that there's far-field  
4 modelling that has been done, or they may be doing, and  
5 when is that -- or is -- is there such a thing as far-  
6 field modelling and when would that be available?  
7 Because I think that might provide a better understanding  
8 of what sort of overall water quality effects there may  
9 be in Yellowknife Bay from the diffuser and the new  
10 discharge point and so on.

11 MS. LISA DYER: Lisa Dyer. Thank you,  
12 Kevin. I -- I'm actually going to introduce John Hull.  
13 He's at the table. He has been involved in the design  
14 review of the diffuser, and so I've asked him just to  
15 talk a little bit about what was included in the design  
16 model, and ask him to talk what future work is happening  
17 in looking at ice thickness. And also, I'd like to now  
18 add to that for him to talk about the mixing model as  
19 well. So it's all to do with the modelling. So I'm  
20 going to ask John to speak to those issues.

21 MR. JOHN HULL: John Hull. The -- the  
22 modelling that we've done that was presented this morning  
23 was two (2) dimensional modelling. It defined the  
24 parameters that were used in the -- the chart, including  
25 temperature. It's an uncalibrated model, but it

1 identified, as was presented this morning, that there  
2 should be no impact on the -- the ice under the -- or  
3 above the -- the diffusers.

4           The expectation is that there needs to be  
5 calibration for the model. That would require sampling  
6 this January and March with ice thicknesses and water  
7 profile temperatures in the location of the diffuser, and  
8 at several other locations in Yellowknife Bay.

9           We've considered, in the modelling, the  
10 potential impact of changes in temperature. And there --  
11 there are several things that can be done to the diffuser  
12 model and to the actual diffuser; we can change the angle  
13 of the diffusers.

14           If you look at the -- the model or the  
15 example in the middle of the floor, what I'm talking  
16 about is the end piece that -- at the moment, that's  
17 designed at a thirty (30) degree angle. That could be  
18 changed to a twenty (20) or fifteen (15) degree. The  
19 key, however, is: What are the currents under ice?  
20 That's part of the sampling and the modelling and the  
21 calibration that would be required this March and  
22 February -- sorry, March and January.

23           So we have considered the impact. We  
24 would anticipate that, once the diffuser is in place,  
25 that there would be a period of calibration and modelling



1 and -- and testing of the water temperatures and the --  
2 the efficiency of the -- the system, and that's all part  
3 of moving to the detailed design.

4                   Answering Kevin's initial -- the question  
5 just asked. The next phase, once we have the temperature  
6 profiles, currents in the -- the bay at several  
7 locations, we would also look for currents during the  
8 freshette period. That would then all be placed in a --  
9 or put into a 3D model, which would cover the -- the bay  
10 from the bridge at the Yellowknife River down past the  
11 Schoolhouse Draw (phonetic) area, so down towards the  
12 Great Slave Lake itself, that full por -- portion of the  
13 -- the bay area, and then that would then be used to  
14 define the currents and how the model -- and how the  
15 diffu -- how the model would anticipate the diffuser  
16 would work and just -- and have a minimal impact on the  
17 water quality in the bay once it's up and running.

18                   THE FACILITATOR MERCREDI:    And Mr.  
19 O'Reilly?

20                   MS. LISA DYER:    I would -- oh, sorry. I  
21 would like to further add to that response, because Kevin  
22 asked specifically about far-field modelling, and that  
23 was done by SRK, and it's document N-1 in the remediation  
24 plan. And I'm going to ask Bruce Halbert to speak to  
25 that, just to clarify Kevin's question.

1 MR. BRUCE HALBERT: Bruce Halbert for the  
2 record. With respect to the far-field modelling, that  
3 was undertaken as part of the risk assessment --  
4 assessment work and is provided in supporting document N-  
5 1. In that analysis, the bay was broken into three (3)  
6 regimes: Back Bay, North Yellowknife Bay as we define  
7 it, and South Yellowknife Bay, and there are predictions  
8 presented for each of those segments within that report.

9 MR. KEVIN O'REILLY: Thanks. Kevin  
10 O'Reilly, Alternatives North. The -- when was the work  
11 for N-1 done, that Appendix N-1.

12 MR. BRUCE HALBERT: Bruce Halbert for the  
13 record. The -- the -- the version of -- of that report  
14 that's -- that's in N-1 was done in 2006. That was  
15 preceded though by two (2) previous versions done in 2001  
16 and 2000, I think three (3).

17 THE FACILITATOR MERCREDI: Mr.  
18 O'Reilly...?

19 MR. KEVIN O'REILLY: Thanks. Kevin  
20 O'Reilly, Alternatives North. So, I think I remember  
21 seeing this at some point. So this is basically a risk  
22 assessment. It's not really a far field modelling  
23 report?

24 MR. BRUCE HALBERT: Bruce Halbert for the  
25 record. That is part of a risk assessment, but a -- a

1 large part of a -- what's in the volume is a detailed  
2 water and sediment quality model that was developed to  
3 replicate historic conditions going back to the early  
4 period of operations and carrying us right through into  
5 the future.

6 So it -- it looks at the cumulative  
7 effects of history and ongoing into the future.

8 MR. KEVIN O'REILLY: Thanks. Kevin  
9 O'Reilly, Alternatives North. So would the -- the  
10 design, or specifications of the diffuser, or its  
11 location in anyway affect the modelling results?

12 Was there some kind of sensitivity  
13 analysis that was done as part of the modelling to look  
14 at diffuser location or the design of it, that sort of  
15 thing? Probably not, because it was done in 2006, but I  
16 guess I just want to hear what you have to say about  
17 that. Thank you.

18 MR. BRUCE HALBERT: Bruce Halbert again  
19 for the record. No, the -- the near field modelling  
20 doesn't affect really the results of our far field  
21 analysis. And as it turns out, and we had assumed at the  
22 time, that the diffuser falls within the -- approximately  
23 the mid-zone of the northern segment of Yellowknife Bay  
24 and has no real effect on our far field modelling.

25 MR. KEVIN O'REILLY: Thanks. Okay. I

1 guess I feel somewhat reassured, but thanks for the  
2 answers. I did want to ask one (1) other sort of set of  
3 questions here. I know that in the developer's  
4 assessment report somewhere, there was a -- a commitment  
5 on the part of the developer that if the electricity  
6 rates that are charged to local consumers increases as a  
7 result of the power draw from the -- the project, that  
8 the developer committed to absorb those costs itself  
9 somehow.

10 That's in the DAR somewhere, and I  
11 remember reading it. Where, I can't tell you where,  
12 because I'm not that familiar with it, but -- or the --  
13 the location of it. But I -- I raise that as an analogy.  
14 And I guess if I -- as a citizen, a taxpayer in  
15 Yellowknife, a former City Councillor, and I -- I  
16 understand that the water quality in Yellowknife Bay, if  
17 we take the predictions from the developer, will actually  
18 improve.

19 I guess I'm wondering if that might be  
20 backstopped somehow by a -- a similar  
21 commitment/guarantee from the developer that if something  
22 goes off track with the project and water quality  
23 actually decreased in some way, and the City actually had  
24 to increase its water treatment in some way, would the  
25 developer then be willing to pick up those incremental

1 costs as it's committed to do for the -- the power rates?

2 So I just wonder whether that might be a  
3 way of creating a greater level of comfort on the part of  
4 the City and I'm wondering if the same sort of commitment  
5 that you've made on power rates might -- might also be  
6 made on water quality. Thanks.

7 MS. LISA DYER: So, Kevin, it's just  
8 after lunch and I guess I'm a little bit slower right  
9 now, but I didn't understand the -- the second part of  
10 your question with the water quality and -- and rates.

11 If you could just clarify that. Sorry, I  
12 -- I didn't fully understand it.

13 MR. KEVIN O'REILLY: Thanks. Kevin  
14 O'Reilly, Alternatives North. If for some reason the  
15 project and the direct effects from the project results,  
16 and I'm not saying that this -- this is going to happen,  
17 but if for some reason the -- the effects of the project  
18 resulted in a decrease in water quality in Yellowknife  
19 Bay that required the City to improve its water treatment  
20 in some way, and assume additional costs for that, would  
21 the developer be prepared to commit to pick up those  
22 additional water treatment costs if the -- it was a  
23 direct result from this project? Thanks.

24 MS. LISA DYER: Thanks, Kevin, that --  
25 that was helpful. I would actually just like to take a

1 minute to talk to my colleagues, because there's two (2)  
2 parts to that question. And the first one (1) on the  
3 electrical rates, we just need to clarify because I think  
4 your interpretation of -- of making a commitment may not  
5 be what we have said, so we need to clarify that. And  
6 then we'll answer the second question on water treatment.

7

8 If you can just give us a sec.

9 THE FACILITATOR MERCREDI: You bet. Let  
10 the Giant team caucus.

11

12 (BRIEF PAUSE)

13

14 MS. LISA DYER: Thank you for that.  
15 Adrian Paradis is going to talk to the statement on  
16 electrical costs, and he's going to actually read from  
17 the DAR.

18 And then Bruce Halbert's going to talk  
19 about water quality, and incremental costs associated  
20 with that.

21 THE FACILITATOR MERCREDI: Adrian...?

22 MR. ADRIAN PARADIS: Kevin, I believe  
23 what you're -- Adrian Paradis, for the record -- what  
24 you're talking about is in Section 8-11-5-3, Mitigation  
25 Measures:

1 "Mitima -- mitigation measures  
2 identified to address demands on  
3 specific local resources that may be  
4 require -- may -- that may be affected  
5 by the project are as follows."

6 So instead of reading it specifically, I  
7 gave you the reference. But the basic -- the gist was:

8 "The project team is exploring  
9 opportunities to reduce the quantity of  
10 diesel-generated electricity that might  
11 be required. The project team will  
12 consider making arrangements with NTCL  
13 to cover incremental costs in the event  
14 that ele -- electricity required by the  
15 proponent -- or by the project would  
16 otherwise result in cost increases to  
17 other uses."

18 This could include just simply us shutting  
19 down the freeze for an extended period to allow the cost  
20 to -- cost decrease, or it could include -- doing off-  
21 peak hours so there's no increm -- interim -- incremental  
22 costs.

23 So it is probably net -- neutral project  
24 costs for the -- for the team.

25 THE FACILITATOR MERCREDI: Kevin...?

1                   MR. KEVIN O'REILLY:   Sorry, I -- I think  
2 the concept though is that if there is incremental costs  
3 -- you're going to try to avoid that, but if there are  
4 you folks are gonna pick that up.

5                   Now, if I sort of use the analogy on the  
6 water, then -- and look, I understand that the water  
7 quality is probably gonna get better in Yellowknife Bay,  
8 but if something doesn't -- something goes wrong, goes  
9 off track, and there were extra costs that -- that had to  
10 be assumed by the City for water treatment -- look, I'm  
11 not trying to say the water quality is -- is gonna get  
12 worse, but if something happened and it did, and it was a  
13 result of what this plan is designed to do, or actions  
14 that are taken pursuant to the plan, you know, the  
15 equivalent analogy would be to then maybe you need to  
16 stop diffusing -- putting the water through the diffuser,  
17 or install extra water treatment plants, or whatever.

18                   But I guess if you've found a way to -- to  
19 deal with this on the electricity side as a utility, can  
20 the same concept be applied for water?

21                   MR. ADRIAN PARADIS:   Adrian Paradis for  
22 the record. I think there's a misinterpretation of what  
23 the commitment is here. The cost is not being -- there's  
24 ways to absorb -- there was ways to do this so it's not  
25 incremental cost to other users, and that is simply by



1 project planning, so -- by going into off peak hours or  
2 shutting down, and it's not cost neutral to the project.

3 I think on your next question for water,  
4 Lisa is going to try and address this.

5 MS. LISA DYER: Lisa Dyer. As Kyla has  
6 presented, there's been a lot of thought into water  
7 treatment. Ultimately we will not deter -- discharge  
8 water that is -- does not meet compliance to the  
9 regulations that are set to us.

10 Now, as Kyla has mentioned, and if -- if  
11 she needs to provide any additional information after  
12 I've spoken, please do, Kyla, but we've designed the  
13 system to be robust enough to handle varying degrees of  
14 arsenic levels.

15 We also have the ability to add trains on  
16 should that water quality not be acceptable. Ultimately  
17 though, we will not be discharging water to the  
18 environment that is not compliant with the standards.

19 And we are going to get a water licence to  
20 regulate us on that, so we can take measures if the water  
21 quality is not compliant to improve water quality before  
22 it goes into Great Slave Lake.

23 THE FACILITATOR MERCREDI: Kevin...?

24 MR. KEVIN O'REILLY: Look, I -- I  
25 understand all of that, and I understand that the project

1 as designed is going to improve water quality in  
2 Yellowknife Bay. I understand all of that.

3 What I'm saying is if something goes off  
4 track, the City's incurs extra cost for water treatment,  
5 would you -- would the developer then be prepared to pick  
6 those up?

7 Look, I understand that -- that it's going  
8 to improve. That's what the plan is. But if something  
9 were to go off track, is the developer prepared to pick  
10 up the extra cost that the City might incur as -- for  
11 water treatment? I think it's a reasonable thing to  
12 know.

13 MS. JOANNA ANKERSMIT: Kevin, I think  
14 you're asking us to commit to something that is  
15 hypothetical, and if something like that were to incur,  
16 then that would be something, I guess, that a number of  
17 parties would have to -- to address collectively.

18 It's not something that on a moment's  
19 notice and in this hearing -- or this session today that  
20 I think is appropriate. Joanne Ankersmit.

21 MR. KEVIN O'REILLY: Thanks. Kevin  
22 O'Reilly, Alternatives North. We're not going to resolve  
23 this here today, and I -- I might have -- we might have  
24 to follow this up with an IR, but I just don't see how  
25 we're going to resolve it here today. Thanks.

1 THE FACILITATOR MERCREDI: Okay. So  
2 we'll put that to bed for now, and obviously you retain  
3 the rights to -- to file that. And we'll move on for  
4 anybody that had any questions.

5 Todd, you had a question?

6 MR. TODD SLACK: Thanks, Paul. Todd  
7 Slack, YKDFN. And speaking in terms of compliance, now  
8 I've got a series of questions here because I'm just a  
9 little bit confused as to what the actual point of  
10 compliance is intended to be for this project.

11 Were this a conventional proposal it would  
12 be end-of-pipe, but it's my understanding that you guys  
13 do not believe end-of-pipe is the appropriate choice  
14 here?

15 Can you just add some context to that?

16

17 (BRIEF PAUSE)

18

19 MR. ROBERT BOON: The criteria -- yeah,  
20 the criteria we were working on is the end of the  
21 diffusers -- or the end of the mixing zone. There will  
22 be monitoring at the end of the plant, or end-of-pipe,  
23 same thing, we're assuming with its own criteria because  
24 that's much easier to sample. But the -- the ultimate  
25 objective was to meet the CCME, or the drinking water

1 guidelines, at the end of the mixing zone. Sorry, Bob  
2 Boon.

3 MR. ADRIAN PARADIS: May I clarify,  
4 please, Todd? Adrian Paradis for the Land and -- or --  
5 kind of go back to my Land and Water Board days. Adrian  
6 Paradis for Giant Mine project team.

7 The point of compliance is end-of-pipe.  
8 We're then gonna be trying to use the Land and Water  
9 Board's policies for edge of diffuser, and median  
10 background criteria. So our point of compliance will be  
11 end-of-pipe, and there will be contingencies put in place  
12 to -- if we don't meet that, bring it back into the  
13 system.

14 MR. TODD SLACK: Thanks, Adrian. That's  
15 clear and concise. That's great. Now then this begs the  
16 question: What -- what criteria are being proposed for  
17 end-of-pipe? Because we can see, and now I'm going on my  
18 memory, which is never a good idea for me, on slide 53, I  
19 -- are these the intended criteria for end-of-pipe, or is  
20 this the -- the way that I heard the presentation, that  
21 this is the criteria for the mixing zone, which is a  
22 different EQC -- or perhaps that's a bad qual -- or a bad  
23 term -- a different set of criteria to be applied?

24 MR. ADRIAN PARADIS: Adrian Paradis for  
25 the record. Just give us a half second here, Todd.

1 (BRIEF PAUSE)

2

3 MS. LISA DYER: This slide shows the  
4 water quality to be achieved at the end of the mixing  
5 zone.

6 MR. TODD SLACK: I'm sorry, what's the  
7 number at the bottom?

8 MS. LISA DYER: Point five (5).

9 THE FACILITATOR MERCREDI: Slide 53, is  
10 that what you're looking for?

11 MR. TODD SLACK: Oh. Okay. Yeah, yeah.

12 THE FACILITATOR MERCREDI: And that was  
13 Lisa Dyer in the --

14 MS. LISA DYER: Lisa Dyer, yes. So just  
15 to clarify, there are two (2) -- there is water treatment  
16 performance that we're working towards, and so the water  
17 perfor -- water treatment performance will be at the end-  
18 of-pipe. And then we're also looking at designing the  
19 whole system to be able to achieve background or -- or  
20 CCME standards at the edge of the mixing zone. We intend  
21 to meet compliance at the end of the pipe.

22 We are not saying -- we're not setting  
23 those standards -- that will be during the water  
24 licensing process -- but we are designing so that we have  
25 control at the end of the pipe, as well as achieving

1 certain objectives at the edge of the mixing zone.

2 MR. TODD SLACK: Okay. That's -- that's  
3 great. In terms of targets of success, again, what is  
4 the target going to be, not at the -- not at the mixing  
5 zone, but at the -- and I would -- I'm not eavesdropping,  
6 but I think he said last point of compliance. So when I  
7 say end-of-pipe in this case, before diffuser, before  
8 mixing zone, what's the -- the criteria that's being  
9 advanced for that?

10

11 (BRIEF PAUSE)

12

13 THE FACILITATOR MERCREDI: Can everybody  
14 see that with our giant heads here?

15 MS. LISA DYER: It's okay.

16 THE FACILITATOR MERCREDI: Yeah.

17 MS. LISA DYER: Got it. Lisa Dyer, Giant  
18 Mine project team. That is the performance criteria for  
19 the water treatment plant. We are not saying that this  
20 is the regulated criteria at this point. This is what  
21 we're using to design the water treatment plant to  
22 produce at the end-of-pipe, and so that we achieve our  
23 objectives at the edge of the mixing zone.

24 THE FACILITATOR MERCREDI: Todd, does  
25 that answer your question?

1 (BRIEF PAUSE)

2

3 MR. TODD SLACK: Todd Slack. No, not  
4 exactly. It -- it talks about before and after. Like  
5 the mixing zone is after, the plant is before, but what's  
6 the -- the target for -- for success in terms of the  
7 remediation for water treatment.

8 MS. LISA DYER: Point two (.2) is our  
9 target for the end-of-pipe. Lisa Dyer. Point two (.2)  
10 is the target for the end-of-pipe for arsenic.

11

12 (BRIEF PAUSE)

13

14 MR. TODD SLACK: Okay. It's Todd Slack,  
15 YKDFN. So if I interpret this correctly then, and what  
16 you're saying, the goals of the remediation for this --  
17 for these particular contaminants of concern being  
18 arsenic, TSS, and pH here, are these in column 3 that are  
19 listed as "target"? Okay. Or wait, sorry...

20

21 (BRIEF PAUSE)

22

23 MS. LISA DYER: Can you restate the  
24 question and then -- because you're ask -- you're asking  
25 which column?

1 THE FACILITATOR MERCREDI: Todd...?

2 MR. TODD SLACK: Okay. So what I -- I'm  
3 gonna restate what I've heard...

4

5 (BRIEF PAUSE)

6

7 MR. TODD SLACK: So we -- we all agree on  
8 third column, right? And if we can't agree on that we've  
9 got bigger problems going on.

10 MS. LISA DYER: Lisa Dyer, but see how we  
11 worked together to come to the solution of what the third  
12 column was?

13

14 (BRIEF PAUSE)

15

16 MS. KYLA KIRK: Kyla Kirk. Could you  
17 explain your question one (1) more time for me?

18 MR. TODD SLACK: Okay. Sorry, in the  
19 third column we have three (3) items listed as targets  
20 for the primary contaminants of concern. And what I  
21 heard Lisa just say that -- is that this is the target  
22 criteria for the successful remediation in terms of water  
23 treatment for these principal COCs. Is that a correct  
24 understanding is my question, I -- I think.

25 MS. KYLA KIRK: Kyla Kirk. What this



1 table actually shows is what we predict would be the  
2 effluent quality from the new treatment plant. The  
3 ammonia, point one seven (.17) to five point three (5.3).  
4 This is based on the water quality coming out from  
5 underground.

6 Total arsenic point two (.2), that's the  
7 target that our plant will reach. That's what we're  
8 aiming for that we discharge at .2 milligrams per litre  
9 at end-of-pipe.

10 Total suspended solids, same thing, less  
11 than five (5). Where -- nickel where it says, "no  
12 change," we do not expect the nickel concentration in the  
13 effluent to change relative to what it was at the  
14 existing plant. So where it says, "no change," we're  
15 comparing it to what we're getting now. We don't expect  
16 the water quality in the sense that the plant will not  
17 remove it at a greater rate than the existing plant  
18 already is. So that's where it says, "no change." And -  
19 - yeah.

20 MR. TODD SLACK: Sorry, I'm gonna ask  
21 this -- or state this one (1) different way one (1) last  
22 time and see if we can arrive at agreement. So for these  
23 three (3) items that have, "target" beside them, I  
24 understand that this is the goal, but if this is the  
25 target and the -- and this is incorporated into the --

1 the regulatory process, can -- is that the measure of a  
2 successful remediation in terms of water treatment for  
3 this -- these particular criteria?

4 MS. LISA DYER: Lisa Dyer. We're --  
5 we're getting back to the question that I think we asked  
6 earlier about the measure of success for the freeze. The  
7 measure of success for water treatment is not going to  
8 just, again, hang on a couple of numbers. We will look  
9 at what we see at the end-of-pipe; also, we look at how  
10 things are performing at the edge of the diffuser.

11 Now, that alone -- if we -- those will be  
12 regulated, but these are -- we have designed to meet  
13 these criteria so that there are no impacts in the  
14 environment. Now, again, there's going to be another  
15 component in which -- whether you call it an aquatic  
16 effects monitoring program or whatever, if we see  
17 something happening in the environment, and -- and even  
18 if we're meeting all those criteria, is that acceptable?  
19 No. So we have another program in a sense that we have  
20 to look at what's happening to the aquatic environment  
21 and be able to respond to that.

22 There is again not one (1) single number  
23 that is going to say whether we're successful or not; we  
24 have to look at the complete system, and we have to  
25 monitor to ensure that, indeed, the predictions are not

1 causing impacts, negative impacts. We hope for good  
2 impacts.

3 MR. LUKAS NOVY: Lukas Novy. So I guess  
4 I just -- I'm trying to find the path of how these came  
5 to be, and my understanding with looking through the DAR,  
6 was that there's been modelling done on the mixing zone,  
7 and that's been done on a certain arsenic effluent water  
8 quality, and this has been somewhat of a lowering of the  
9 MMR regulations.

10 Now, I guess the question -- the concern I  
11 have with that is -- is that -- that mo -- the diffuser  
12 and its performance has been numerically modelled, and it  
13 hasn't actually been tested. And I guess I would just  
14 like the team to kind of comment on what level of  
15 contingency measures are going to be put in place for  
16 that if -- once the diffuser is starting to be sampled  
17 and it's not performing as modelled, and the water  
18 treatment plan has already gone into full swing, and  
19 there's gonna potentially be a need to lower the effluent  
20 discharge quality to meet the expected performance of the  
21 diffuser.

22 So I just want a -- a little bit of a  
23 comment on, like, contingency measures for the water  
24 quality criteria, not just for arsenic, but I would like  
25 a comment on arsenic first.

1 MS. LISA DYER: Thank you. That --  
2 that's actually a very good question: How do all these  
3 systems work together and contingency measures. If we  
4 see that things aren't working at the end of the pipe,  
5 we've talked about the fact that we will send the non-  
6 compliant discharge back. And I think that's a very good  
7 question. What if we have compliant discharge at the  
8 end-of-pipe, but then the diffuser is not performing, as  
9 we have stated that we want to see background CCME  
10 guidelines at the end of the mixing zone.

11 I am going to ask John Hull to talk about  
12 what contingency measures would be in place so that we  
13 could ensure that we could correct any issues that could  
14 arise.

15 MR. JOHN HULL: John Hull. The initially  
16 -- initial modelling that we've done that is presented  
17 and gives us the -- the diffusion problems that we've  
18 identified, we didn't use the point two (2) ar --  
19 arsenic, as identified, but we were using higher numbers.  
20 I believe, if I -- if memory serves me correctly, that  
21 the number we actually used for the water in the -- at  
22 the diffuser was .5 milligrams per litre for the arsenic.

23 So we've already put in a conservative  
24 initial estimate, and, as I said previously, with doing  
25 some calibration of the -- the water and the

1 temperatures, we would then improve that modelling and be  
2 -- have a -- a better handle on the margin of safety that  
3 we've already built into our modelling.

4 MR. LUKAS NOVY: Yeah, I understand that  
5 for that element, but that still doesn't highlight that  
6 what happens if -- if that is the case, that the -- it  
7 isn't performing? Like, I understand it was modelled at  
8 point five (5), and there's an element of conservative in  
9 it, but it's not just the water quality at the edge of  
10 the di -- the -- the mixing zone could be smaller.  
11 There's a lot of other factors that could mean that that  
12 point two (2) level is not good enough to maintain it,  
13 and you would have to go to a lower value. Is -- I'm  
14 just wondering if that's been accounted for, that that  
15 point two (2) value could be changing in the future as  
16 the effluent quality criteria?

17

18 (BRIEF PAUSE)

19

20 MR. MARK CRONK: Mark Cronk. There are  
21 additional steps that we could take if we ended up with  
22 water we weren't happy -- at the end of the mixing zone.  
23 The water treatment folks could increase their re-agent  
24 addition. They could slow the plant down. They could  
25 blend it with treated water.

1                   There's a number of opportunities inside  
2 the plant itself where we could probably improve upon the  
3 point two (.2) to give the diffuser the chance to meet  
4 the criteria that we're trying to achieve.

5                   Does that answer your question? Bob, if  
6 you have anything to add to that.

7                   MR. ROBERT BOON:    Yeah, I -- I just might  
8 add is that one (1) of the -- sorry. Bob Boon.

9                   The other contingency we have in place is  
10 we keep the Akaitcho system available to us, so if we  
11 have to slow the plant down we can always transfer some  
12 water to the Northwest Pond and use the existing plant in  
13 the short term to help us out.

14                  MS. LISA DYER:    I'm just gonna jump in  
15 because Till is our water treatment plant design expert,  
16 and he has some comments that he'd like to make about the  
17 flexibility of the water treatment design.

18                  MR. TILL FREIHAMMER:   Hello.

19

20                                       (BRIEF PAUSE)

21

22                  MR. TILL FREIHAMMER:   Well, can -- yeah,  
23 okay. Till Freihammer for the -- for the record. The  
24 treatment --

25                  THE FACILITATOR MERCREDI:   Actually we'll

1 -- we'll need to get you on a mic.

2 MR. TILL FREIHAMMER: Okay. Let's try it  
3 again. Till Freihammer, for the record. The treatment  
4 plant itself actually has this simplified process flow  
5 diagram. It's actually a little bit more complex than  
6 that. It has actually two (2) ida (phonetic) nickel  
7 process trains which can run parallel, and it also has  
8 two (2) more or less identical process stages. So if one  
9 (1) process stage doesn't get to the level we expect, the  
10 second process stage can go even further with a -- with  
11 another chemical.

12 So there is flexibility in the plant  
13 itself, and the operators can -- can handle that based on  
14 the -- on the levels they see on a daily basis in terms  
15 of arsenic, if the -- the arsenic levels go up.

16 But they would see that also because the -  
17 - the arsenic levels in the inlet would go up, as well.  
18 So they have a response to -- to their -- available to --  
19 to tackle any -- any increase in arsenic there at the  
20 outlet of any process area. So, what you see there is --  
21 is actually simplified.

22 MR. LUKAS NOVY: Lukas Novy. Thanks for  
23 that information. So I'm going to take it a bit  
24 backwards as well, and bring up an issue that was -- was  
25 talked about yesterday, but it was stated it was more

1 appropriate for this day 2 on the water management. And  
2 it goes back to the water levels, and how they're going  
3 to be fluctuating with time.

4                   So I know it was indicated in the  
5 presentation that the present value is to maintain a  
6 level below seven fifty (750), and there was a set of  
7 advantages to doing that that was stated. And then a  
8 couple of slides after that there was a statement on  
9 future water level, and basically it provided a statement  
10 that it was -- discussions were going to be had, and  
11 based on certain other things, such as minewater quality.

12                   And I just would like to have a staten --  
13 initial statement made on what are the -- what is the  
14 technical rationale with lowering the water -- or raising  
15 the water level -- sorry -- with time?

16                   What is -- what is the overall objective  
17 to doing that?

18

19                   (BRIEF PAUSE)

20

21                   MR. MARK CRONK: Mark Cronk, for the  
22 record. Complex question. Ultimately, I think people  
23 would like to have the project achieve a walkaway state  
24 where we would not be in a perpetual pump and treat  
25 operation.



1                   We're not in a position to be able to say  
2 we can achieve that, but certainly the expectation is  
3 that the minewater quality would improve over time as it  
4 flushes, and we treat, and we flush, and we treat, over  
5 time. And so the ability to lift the water level in  
6 concept is preserving the ability some time in the future  
7 if the water quality is acceptable.

8                   Darren Kennard and the underground people  
9 say that there's no risk to underground stability, a  
10 number of those design questions are answered that we  
11 could start to pursue, lifting the water level with the  
12 ultimate objective if we're fortunate, of reattaching the  
13 underground to the environment directly and stopping  
14 pumping and treating.

15                   Mr. LUKAS NOVY:    So that basically you're  
16 saying that eventually there could be a goal of removing  
17 the hydraulic trap and -- and getting a level back to --  
18 equivalent to the water level, or is that kind of the  
19 idea with that?

20                   MR. MARK CRONK:    Mark Cronk.  Yes, that  
21 is in the very long-term, but that is the ultimate  
22 objective if we can get there.

23                   MR. LUKAS NOVY:    I guess that's -- that's  
24 the problem right now that that's not clear to me in the  
25 -- in the DAR.  And the presentation today didn't

1 highlight that to the level that it is clear.

2 I don't know, maybe it's just for myself,  
3 but that concept and how you guys go about getting to  
4 that level, it -- it's not clear. I'm not understanding  
5 what you guys are going to be looking at in terms of -- I  
6 know you say minewater quality, but then there's -- right  
7 now there's a statement that there are no standards.

8 So it's -- it's not clear with what  
9 specific things you're going to be looking at in terms of  
10 the minewater quality, what trends, what -- the overall  
11 process to raising the -- the water level is -- it's not  
12 clear.

13 And the danger with that is -- is that we  
14 -- we -- it was discussed in day 1, because it does  
15 directly correlate to the freezing and the timeline on  
16 that as well, and -- and that's not clear is what's going  
17 to be the main driver for the water level to be rising?

18 So I -- I may be asking -- maybe I'm just  
19 commenting now, but the -- the overall concern for that  
20 in the short-term that I had a question on is -- is that  
21 you guys have indicated that you want to use the  
22 underground system as a storage mechanism for your  
23 contaminated water. And that's an element of contingency  
24 for the functioning of the water treatment plan and  
25 that's not there either.

1 I don't -- there's not a clear  
2 understanding of the situation that you guys, depending  
3 on where your water level is at, could -- is reducing  
4 your storage significantly. So I'm just wondering what  
5 is the overall game plan for outlining how you're going  
6 to raise the water level with time and making sure that  
7 it correlates to all the input mechanisms that are  
8 controlling that.

9 So basically, what triggers for the freeze  
10 block system, or how much volume you need for storage  
11 contingency for the water treatment plant?

12 THE FACILITATOR MERCREDI: Giant team...?

13

14 (BRIEF PAUSE)

15

16 MR. MARK CRONK: Mark Cronk, for the  
17 record. Mr. Boon is going to say a few things and then  
18 I'll come back and fill in your question a little bit.

19 Bob...?

20 MR. ROBERT BOON: Yeah, Bob Boon for the  
21 record. In terms of the amount of storage, that has been  
22 quantified. With the plant size we have and the current  
23 projections on wet year, the eight hundred thousand  
24 (800,000), and so on, we need to store about 177,000  
25 cubic metres. At the level we're at, more or less that's

1 about 17 metres of vertical storage in the mine.

2 MR. LUKAS NOVY: So from -- sorry, Lukas  
3 Novy. So from the seven fifty (750) benchmark right now,  
4 you're saying that would correspond to 17 metres of  
5 increased water level.

6 MR. ROBERT BOON: Bob Boone for the  
7 record. That's right. The intention was to drop the  
8 water level a bit so we can keep the seven fifty (750)  
9 level dry.

10 In the future, if the water entering the  
11 mine goes down as we -- has been predicted, down to about  
12 the four hundred thousand (400,000), then our storage  
13 becomes as -- basically minimal. We can keep up almost  
14 on a month to month basis, so you're only talking a few  
15 tens of thousands, not a hundred thousand (100,000). So  
16 we need very little in the way of storage.

17 MR. LUKAS NOVY: Just to clarify that.  
18 So you're saying that if you're going to be raising the  
19 level your storage is de...

20 MR. ROBERT BOON: Bob Boon for the  
21 record. No. Once the freeze is done and they have de-  
22 watered the ponds, if the prediction of water entering  
23 the mine reduces to the -- about the four hundred  
24 thousand (400,000) a year, or five hundred thousand  
25 (500,000) on a wet year, the plant will essentially keep

1 up, because we have the same capacity plant as we have  
2 for a current wet year of 800 and some odd thousand cubic  
3 metres a year.

4                   So we -- in the future, if the flow goes  
5 down we will need very little, if any, storage in the  
6 underground. We just simply draw from the mine pool and  
7 turn the plant down to a lower rate for most of the year.

8                   MR. LUKAS NOVY:    Just -- just so that I  
9 have an understanding of the -- the amount that's coming  
10 in, is -- what, in terms of percentage, is from the  
11 surface, and then also what percentage is dependent --  
12 because it's the hydraulic trap, so there is an influx  
13 and that is dependent on a -- on a water level. So I  
14 just want to get an understanding of how -- how sensitive  
15 that influx is to the actual water level as well.

16                   MR. ROBERT BOON:    Bob Boon, for the  
17 record. I don't have those numbers -- specific numbers  
18 here with me, I could pull them out of the DAR, but  
19 there's quite a bit of leakage -- there's quite a bit of  
20 leakage occurring now from the Northwest Pond and from  
21 Baker Creek into the mine, and once the Northwest Pond is  
22 dewatered a lot of that goes away. And Baker Creek,  
23 you've heard Nathan talk about using artificial liner in  
24 the areas over the underground to reduce seepage into the  
25 mine, as well.

1                   Both of those two (2), combined with the  
2 seepage out of the stopes, is where the prediction comes  
3 from that current wet year is about eight hundred and  
4 twenty-two (822); in the future it's about five hundred  
5 and twenty thousand (520,000).

6                   MR. LUKAS NOVY:    Okay.  I'm just going to  
7 collect my thoughts, and I'm -- I'll probably have  
8 another question on that, but that's -- that's it for  
9 now.

10                  THE FACILITATOR MERCREDI:   Okay.  Thank  
11 you, Lukas.

12                  MR. LUKAS NOVY:    Lukas.

13                  THE FACILITATOR MERCREDI:   Any -- I'm  
14 sorry?  And Alan has questions, unless the Giant team had  
15 another comment to add.  Yeah, okay.

16                  MR. MARK CRONK:    Mark Cronk, for the  
17 record.  Lukas, going back to your original question --  
18 questions about the water level.

19                  Part of my opening remarks yesterday tried  
20 to convey the sense that we are early on in our design  
21 efforts.  There is a lot of pros and cons associated with  
22 a given water level.  We haven't made any decisions as to  
23 where the best water level would be, and so what you're  
24 hearing here is our ability to try to keep the options  
25 open.

1                   Leaving it low, as Bob described, provides  
2 us a lot of flexibility in terms of being able to get it  
3 out of the chambers, access, ability to inspect the  
4 frozen block as we build it.

5                   Lifting the water level produces some  
6 advantages, too, but it comes at a cost. And so we just  
7 haven't decided what the best water level is going to be  
8 at this point in time. It will be answered as part of  
9 the detailed design effort that's ongoing, it's just not  
10 done yet.

11                   MR. LUKAS NOVY: Yeah, and I -- I  
12 understand how complex it is. I just wanted to bring up  
13 those items, and just -- just bring up that scenario.

14                   That -- that the work -- the scenario that  
15 I'm scared of just looking at it from a technical span --  
16 standpoint is, is that the freezing blocks, there's a ten  
17 (10) year window that was indicated of its performance.  
18 That -- that's numeric modelling. I understand that's  
19 how it's going right now, but there's -- there's a worse  
20 case scenario that that's not happening as -- as needed.  
21 They're not ready to be in that minus five (5) state.

22                   There's -- with the raising of the water  
23 level inside, the arsenic predicted amounts is now that  
24 the peaks are starting to come in higher and then there's  
25 a -- there's a need for water storage underground that's

1 not there anymore.

2                   And I know that you guys talked about a  
3 certain ability to keep one (1) of the above-surface  
4 ponds open after, and I'm just wondering, initially it  
5 was stated that the results look promising for that. And  
6 has there any -- been any sort of progress since the IR  
7 in making commitment to keeping that open in terms of  
8 contingency?

9

10   (BRIEF PAUSE)

11

12                   MR. MARK CRONK:   Mark Cronk. I think  
13 what we were trying to convey -- no, what we were trying  
14 to convey is a conservative approach to bringing a new  
15 water treatment plant, which is a significant endeavour,  
16 has some complexities, allow us to commission it, shake  
17 it out, be confident in its ability to produce what we  
18 expect before we dismantle the old one (1).

19                   So the keeping of the Northwest Pond, the  
20 Akaitcho dewatering system, the existing water treatment  
21 plant would be held, again some reason that we need to go  
22 back and use it if we have to tweak the new plant. It  
23 wasn't intended to be part of the Remediation Plan. It  
24 would just be a -- oh, excuse me, a sequencing issue as  
25 we bring the new one (1) online.



1 Does that answer your question?

2 MR. LUKAS NOVY: Yeah, it does. And I  
3 guess there -- there would be a process of outlining what  
4 terms of mechanisms and triggers you would be looking to  
5 -- to be able to decommission those various stages of  
6 those -- that infrastructure. Lukas Novy.

7 MR. MARK CRONK: Mark Cronk. Yeah, most  
8 water treatment plants are subject to seasonal surface  
9 water changes, which the team that's commissioning the  
10 plant would like to see it run one (1) whole year to see  
11 how it works.

12 Our minewater quality is relatively  
13 constant other than changes from surface water entering  
14 the mine. But still, it takes nothing for us to run the  
15 plant for a year and be comfortable for a period of time  
16 and then the next season decommission the Northwest Pond,  
17 drain it, which we need to do to introduce the tailings  
18 covers and close that facility up.

19 So to us it makes reasonable sense to  
20 leave it available as an operating facility for a period  
21 of time. The old one (1), sorry.

22 MR. LUKAS NOVY: Thank you very much.  
23 Lukas.

24 MS. LISA DYER: Lisa Dyer.

25 THE FACILITATOR MERCREDI: Go ahead.

1 MS. LISA DYER: I just jumped in, thanks.  
2 But I said my name first, so that was good. One (1) of  
3 the things I just want to bring together, because there's  
4 -- there's a lot of discussion on kind of timelines and  
5 when we're doing certain things.

6 To be aware the underground is -- we have  
7 underground stability issues, we have looking at water  
8 treatment, we're looking at surface interaction and we  
9 are fortunate enough, and sometimes laughed at for the  
10 number of people that we have on our team. But really,  
11 what that represents is the expertise that's required to  
12 look at the Giant Mine Project. And each of the members  
13 of the design team are gaining more knowledge and we are  
14 advancing the design to improve performance.

15 And so we have gathered a certain amount  
16 of information and we are working to bring those level of  
17 expertise together to make the best solution for Giant.  
18 So we may not -- you know, what we have right now is  
19 flexibility in the system to account for all those are --  
20 areas of expert -- expertise and to account for any  
21 issues that come up.

22 And, therefore, what you're hearing is the  
23 fact that we are working as a team and bringing in all  
24 that knowledge to determine the best management solution.  
25 We have not made all the final decisions. There are some

1 decisions where, as we implement things, we will learn  
2 and be able to adapt to. And I think ultimately that  
3 allows us to be more protective and responsive.

4 MR. LUKAS NOVY: Lukas Novy. Yeah, just  
5 -- that is definitely coming across in the sessions; I  
6 understand it's a massive project. But you -- you guys  
7 have your set of consultants, you have freeze guys, water  
8 guys, and it is on the shoulders of the managers to make  
9 sure that there's a big picture understanding that these  
10 systems overlap.

11 And yeah, you ma -- your freeze guy may be  
12 able to know everything there is to know, but then it  
13 directly correlates to water management. And I think  
14 that's -- that's an important thing that needs to come  
15 across and probably will get talked about in day 4 and --  
16 and 5, as this -- I mean, there has to be confidence that  
17 that communication network between all the consultants is  
18 there. And I understand how complex it is, but -- but  
19 sometimes that -- sometimes it doesn't come across.

20 MS. LISA DYER: Well, hopefully to give  
21 you some -- some confidence, is -- that's why we have a  
22 team of people at Public Works. Our job is to work with  
23 the consultants to make sure that there's that transfer  
24 of knowledge between the experts, and so that is a very  
25 big component. We meet regularly to talk about the

1 interactions between each of the components of the  
2 design.

3                   So we are not -- there are people going  
4 off and working independently on, say, the freeze or  
5 water treatment, but we meet bi-weekly to talk about the  
6 interactions, to make sure that what we consider in the  
7 underground stability doesn't affect water treatment. So  
8 hopefully that provides some confidence that we do see  
9 the need for that interaction, and that is definitely  
10 built into the process of design.

11                   THE FACILITATOR MERCREDI: Thank you,  
12 Lisa. I'll move the mic over the Alan. He had a couple  
13 of questions here. Alan...?

14                   MR. ALAN EHRLICH: Thanks. It's Alan  
15 Ehrlich. I -- I'm picking up on a -- a couple of things  
16 that came out in the -- the recent discussion. One (1)  
17 of them was that there's expected to be a -- a very  
18 gradual tapering, I heard, over the very long term  
19 perhaps, of contaminants from the site, and -- and water  
20 treatment is gonna be needed for perhaps a very long time  
21 as a -- a result of that.

22                   With respect to that, can you give me a --  
23 even a rough ballpark of how many years are we talking  
24 about until the site reaches a stable state with respect  
25 to contaminants?

1 MS. LISA DYER: To clarify, Alan, are you  
2 talking about minewater or surface or both?

3 MR. ALAN EHRLICH: I was actually  
4 thinking about -- in my mind, I was thinking about the  
5 surface and the underground workings that were not inside  
6 the frozen blocks, because I know that there's an  
7 extensive network of contaminated material that isn't  
8 going to be contained in those frozen blocks, and that  
9 it's going to be captured by minewater treatment.

10 So if the stuff underground is being  
11 captured by minewater treatment, for the site overall,  
12 assuming that the blocks are -- are frozen and it's  
13 working well, roughly how many years are we talking about  
14 until it reaches a stable state with respect to  
15 contaminants -- really rough ballpark, because I know  
16 you're talking, you know, quite some time.

17

18 (BRIEF PAUSE)

19

20 MS. LISA DYER: Lisa Dyer for the record.  
21 And I've been told to move away from the mic a little  
22 bit, so hopefully that's better for people.

23 In terms of the underground, we do see  
24 that in the short term, that there will be an increase in  
25 arsenic levels until the freezing is in place. After

1 that time, we do see that there will be elevated levels  
2 in the minewater that will continue to be required to be  
3 treated, so it will essentially reach a steady state, but  
4 there still will be treatment required. We, at this  
5 time, see that we will be treating the water at Giant  
6 Mine in perpetuity.

7 MR. ALAN EHRLICH: Are you -- but with  
8 respect to the steady state, the -- the equilibrium,  
9 right, roughly --

10 MS. LISA DYER: We see ten (10) --

11 MR. ALAN EHRLICH: -- how long are we  
12 talking about before you expect the minewater to reach a  
13 steady state?

14 MS. LISA DYER: Ten (10) years.

15 MR. ALAN EHRLICH: In other words, for  
16 the site to reach a steady state with respect to  
17 contaminants?

18 MS. LISA DYER: Ten (10) -- ten (10) --  
19 ten (10), years. Ten (10) to twenty (20) years.

20 MR. ALAN EHRLICH: And is that also true  
21 with respect to surface contaminants?

22 MS. LISA DYER: With respect to surface  
23 contamination...

24

25 (BRIEF PAUSE)

1 MS. LISA DYER: So to answer your  
2 question more fully -- Lisa Dyer, for the record. To  
3 answer the question of kind of stability of contaminant  
4 loading from the surface and underground, it is -- it is  
5 a hard number to predict, and so I'm going to add caution  
6 to the number I give you. But we see that a range of ten  
7 (10) to twenty (20) years the underground and surface  
8 should be -- after post-remediation, should be seeing a -  
9 - it become more stable.

10 MR. ALAN EHRLICH: Thanks. My next two  
11 (2) questions are going to hop around a little bit.

12 MR. TODD SLACK: Can we ask a point of  
13 clarification?

14 MR. LUKAS NOVY: Sure. Lukas Novy. I'm  
15 -- I'm just having a hard time with the term 'steady  
16 state.' That usually implies no influence from any  
17 exterior source. And I don't know how you can say that  
18 ten (10) years is the value that's been attributed to the  
19 -- the freezing system being done, and steady state would  
20 imply in my mind that you're not changing the water  
21 levels at all in that time period. So I -- I just would  
22 like further clarification on what the term 'steady  
23 state' means.

24

25

(BRIEF PAUSE)

1                   MR. DARYL HOCKLEY:   Daryl Hockley.  The -  
2   - the -- the -- what's im -- important -- people forget  
3   that after the arsenic trioxide has been -- been frozen,  
4   there is still arsenic in the rest of the underground  
5   mine, right.  There is arseno pyrite ore in -- arseno  
6   pyrite minerals were -- were in the ore; they're still in  
7   the tailings and the tailings have been used to backfill  
8   much of the mine.  So there is a long-term source of  
9   arsenic quite independent of the arsenic trioxide.  It's  
10  a -- it's a very different source.

11                   Arsenic trioxide is soluble at 10,000  
12  milligrams a litre.  Arseno pyrite might reluse -- might  
13  release, 1, 2, 3, maybe 5 milligrams a litre of arsenic.  
14  Totally different level of magnitude, but enough that  
15  we've always been concerned that even after we dealt with  
16  the arsenic trioxide there would be a need to treat water  
17  from the rest of the mine.

18                   So I think when we talk about steady state  
19  that's what we're referring to.  We're referring to the  
20  period in time when the arsenic system has been frozen,  
21  when any residual arsenic, the -- the high test water  
22  that's been referred to has been -- has been removed from  
23  the areas around the frozen zones, and we are now just  
24  treating the -- the -- that background source, the -- the  
25  arseno pyrite in the tailings that we...



1                   I should also point out we think we've  
2 been conservative in -- in saying that will last  
3 indefinitely. There are flooded underground mines with  
4 arseno pyrite tailings in them that don't require  
5 treatment, but it would be optimistic for us to tell all  
6 of you that we're going to be able to shut that treatment  
7 off in -- in X years.

8                   So -- so we've -- we've said that count on  
9 high strength treatment for ten (10) to twenty (20) years  
10 and then perpetual treatment of a steady state source for  
11 the long-term after that.

12                   MR. LUKAS NOVY:   Lukas Novy. So what  
13 you're saying is -- is that -- that mechanism to reach  
14 steady state, the biggest driver for it would be the  
15 success of the freezing system?

16                   MR. DARYL HOCKLEY:   Yes. There -- there  
17 is also -- there is some amount of high strength arsenic  
18 outside of the frozen blocks. There -- there have been -  
19 - there have been -- there has been arsenic outside the  
20 chambers historically.

21                   Well -- and -- and there are also slimes  
22 on the floors of the -- of the -- of some of the drifts  
23 that -- that may have arsenic trioxide contamination in  
24 them.

25                   So I -- I think the -- the phrasing will -

1 - will start the clock ticking towards reaching steady  
2 state. That -- sorry, the -- the completely frozen block  
3 will start the -- the clock ticking, then it's ten (10)  
4 to twenty (20) years after that for these materials  
5 outside the frozen block to -- to reach steady state.

6 MR. LUKAS NOVY: Lukas Novy. So just one  
7 (1) more follow-up question on that.

8 What mechanism, or means do you attempt to  
9 -- to treat that, or get that arsenic outside of the  
10 frozen blocks to -- to be able to say that the  
11 contaminate source has -- is decreasing, or is not -- is  
12 -- has reached a steady state?

13

14 (BRIEF PAUSE)

15

16 MR. DARYL HOCKLEY: The -- the water  
17 treatment system, as -- as Till pointed out, has -- has  
18 capacity to treat a range of strengths of materials.  
19 It's been designed that way in part because we believe --  
20 Till, correct me if I'm get -- misstating this, that I  
21 think the design has progressed a bit since -- since I  
22 last touched on it. But I believe it -- part of the --  
23 the reason for that flexibility is we think there will be  
24 a higher strength source for some short term, and then  
25 decreasing to a lower strength course over the longer

1 term, right, so...

2 MR. LUKAS NOVY: Lukas Novy. One (1)  
3 more question. It's -- I'm just looking at it from a  
4 water standpoint.

5 Is -- is it going -- is the water  
6 elevation going to need to hit those points to dissolve  
7 the arsenic in the water form, and treat it in that way,  
8 or are you just saying for the natural period of  
9 unsaturated flow from the surface is going to be able to  
10 -- in some way that arsenic near the -- near this -- a  
11 non-frozen zone needs to get treated, and water is --  
12 based on what you've been telling me, is going to be the  
13 mechanism to do that.

14 So I'm just wondering, is -- is that the  
15 strategy to use it through raising the water elevations,  
16 or is it just through the natural process of water  
17 percolating through the mine?

18

19 (BRIEF PAUSE)

20

21 MR. DARYL HOCKLEY: That's definitely one  
22 (1) of the -- one (1) of the factors that's in play in  
23 determining how high the water level should be.

24 I think it'll reach steady state in any  
25 case, because water typically -- water typically in an

1 underground mine, and in fact in most underground  
2 situations, finds a flow path. And it's that flow path  
3 that you have to flush out in order to achieve a steady  
4 state. So regardless of where the water level is, I  
5 think we will still reach a steady state after a defined  
6 period of time, and -- and our guesstimate is, and it's  
7 really the only guesstimate, is ten (10) to twenty (20)  
8 years.

9                   But if we were to -- to flood some of  
10 those levels, we could potentially flush it out faster.  
11 That -- that's one (1) of the considerations in -- in  
12 determining the -- the sequencing of the water level  
13 rise.

14                   MR. LUKAS NOVY:    Lukas Novy. Thank you  
15 very much.

16                   MR. ALAN EHRLICH:    Okay. I'm going to  
17 continue with the questions that I had, and I've got to -  
18 - I've got to keep on trucking.

19                   Okay. I'm going to continue with mine,  
20 and then I'll, as the Chair, hand it over to you, is it  
21 directly related to steady state?

22                   MR. KEVIN O'REILLY:    Thanks, Kevin  
23 O'Reilly, Alternatives North.

24                   I wanted to put to bed this ground water  
25 level issue some time ago.

1 MR. ALAN EHRLICH: Okay, put to bed.

2 MR. KEVIN O'REILLY: Well, thank you. In  
3 the DAR, it still -- there's this diagram 6.8.1 that  
4 shows the re-flood level after freezing process but prior  
5 to full flooding at the two hundred (200) level, and then  
6 in the text it says that could be raised up to the one  
7 hundred (100) level.

8 So just for real clarity, that is no  
9 longer the plan anymore? You don't know what the plan  
10 is?

11

12 (BRIEF PAUSE)

13

14 MR. DARYL HOCKLEY: I don't think the  
15 plan has changed in the sense that there -- there is no  
16 definitive plan for anything else. Sorry, Daryl Hockley.  
17 There's no definitive plan at this point for any other  
18 level. I think what you're seeing as -- as Mark  
19 suggested is that the developer is being very open in --  
20 in letting you look inside the current design process.

21 Trust me, I work on a lot of big projects,  
22 and there's lots of things in -- in big projects where  
23 levels go up and down until they're finally decided.  
24 It's a very healthy process to have that dialogue.

25 You -- you're seeing it here. You -- you

1 may not -- you -- I suspect you probably don't see this  
2 in -- in most technical sessions, but in this case the  
3 developer has -- has -- is trying to let you see some of  
4 the deliberations that are going on. As far as I know at  
5 this point, there is no decision to -- to make any  
6 change, or to -- to make any selection of the timing of  
7 that -- of that level.

8 MR. ADRIAN PARADIS: Adrian Paradis for  
9 the Giant Mine team. What you're looking at here is  
10 under Section 683, "Under -- Underground Water  
11 Management" in the Developer's Assessment Report. And  
12 what it describes is, once the freezing's complete the  
13 mine could be allowed to flow up to that point, but it's  
14 not -- there's no -- it's not -- it's not definitive; it  
15 is just simply a 'this could be what -- what is allowed  
16 to happen.'

17 What we are talking about, or what we're  
18 trying to figure out as a project team, and I -- the  
19 community at large needs to wrap their head around is at  
20 what level and where do want to maintain it, and what are  
21 the pros and the cons, and you've heard today a lot of  
22 what that is.

23 There is benefits to bringing up the water  
24 to a certain point, and there's benefits to bringing it  
25 down, and the ability to actually sit down -- and I agree

1 with you, Kevin -- to try and nail it down right now,  
2 here and now, I don't think we're there yet, because --  
3 partially because of our -- we haven't had -- quite  
4 understand what all those benefits and what those cons  
5 are, and I think largely because the community at large  
6 has not.

7                   So, I think, with that, probably best to  
8 throw it back to you.

9                   MR. KEVIN O'REILLY:    Okay.  Thanks.  
10 Kevin O'Reilly.  I thought this was relatively easy, but  
11 this is no longer the plan, what's in 6.8.1, not -- the -  
12 - the re-flood level is not going to be at the two  
13 hundred (200) level.  That's what this shows.  That  
14 spurred at least two (2) IRs, and that's not what the  
15 plan is.  So I'm just saying this is no longer accurate;  
16 it's not what the -- it's not what's currently planned.  
17 That's all I'm asking.

18

19   (BRIEF PAUSE)

20

21                   MS. LISA DYER:    Lisa Dyer, Giant Mine  
22 project team.  Kevin, this is a difference in opinion.  
23 We do not see it as a change in the plan.  We see it as a  
24 timing issue.  There's not more -- we -- we've spent a  
25 lot of time on this.  We do not see this as a sig -- as a

1 change in the plan.

2 MR. ALAN EHRLICH: Okay. I have  
3 something I'd like to request of the Giant team as an  
4 undertaking. Just for the clarity to the parties, it  
5 would be -- can you submit something in writing by  
6 November 14th that spells out where the thinking about  
7 major parts of this project has evolved since the  
8 creation of the DAR?

9 In other words, if -- if right now you're  
10 somewhere with this project, an important part of this  
11 project, that is different from where you were when you  
12 wrote the DAR, I just want to make sure that all parties  
13 have very good 'you are here now' sort of point.

14 I mean, my understanding is that the vast  
15 majority of the DAR is still exactly applicable to the  
16 project that you've done, but I know that you do have  
17 ongoing designing, and it would be useful for them to  
18 know where they are. I'm not saying every tiny design  
19 change -- that would be an onerous undertaking -- but for  
20 the big-picture stuff that matters to the things we're  
21 talking about, it would be a very helpful thing to have.

22 So, anyway, I'd like to request that as an  
23 undertaking.

24

25

(BRIEF PAUSE)



1 MS. LISA DYER: Alan, can you kind of  
2 maybe clarify exactly what you see us doing in this  
3 undertaking?

4 MR. ALAN EHRLICH: Sure. I'm thinking  
5 about -- the way I imagined it is we're looking at maybe  
6 ten (10), fifteen (15) pages, let's say single spaced,  
7 saying, You know, here's what we're looking at for Baker  
8 Creek these days.

9 MS. LISA DYER: M-hm.

10 MR. ALAN EHRLICH: It might have -- the  
11 thinking might have changed a little bit over the last  
12 few months 'cause we've been working diligently on this.  
13 You know, here's -- here's what we've decided in terms of  
14 the diffuser location. I noticed there were three (3) of  
15 them -- possibilities, in the DAR, but you've picked one,  
16 right? And so now you know a bit more about that. For  
17 things like that, sort of bigger-picture items.

18 If you have more clarity based on your --  
19 your thinking, it would help if -- if you could share  
20 that. I -- I know that, you know, this is scalable, and  
21 I'm -- I'm trying to word this in a --

22 MS. LISA DYER: M-hm.

23 MR. ALAN EHRLICH: -- in a way that isn't  
24 too picky, but if you've got a big-picture item that's  
25 changed because of the Giant team's work since the DAR,

1 or -- or that the thinking has -- has crystalized or  
2 clarified somehow, it would -- it would be very useful to  
3 the parties just to have a reminder of where we're at  
4 now.

5

6 (BRIEF PAUSE)

7

8 MS. LISA DYER: Alan, we would be happy  
9 to undertake that -- do that undertaking, but just a  
10 caveat is that we are in the design process. There are  
11 going to be different design considerations in the  
12 future, so there's going to be some modifications. We're  
13 trying to be as honest and open as possible where we are.

14 Again, though, in many ways, there are  
15 aspects of design we're considering, whether we have --  
16 you know, using 2-inch pipe in the freeze or using 3-inch  
17 pipe I don't think is -- is really deviating from the  
18 overall approach that's shown in the DAR, and so we will  
19 present, but again, there are some aspects that are being  
20 brought up here that we do not see as a deviation from  
21 the DAR. So we will be presenting it from our  
22 perspective of where the design has led us to date.

23 MR. ALAN EHRLICH: Perfect. I'm -- I'm  
24 definitely not expecting you to say where the design will  
25 wind up being, but as of the -- the date that you make

1 the undertaking, it would be nice if it was current. You  
2 know, an extra inch of diameter on the pipe, I mean,  
3 unless you think it's relevant to -- unless it's  
4 potentially relevant to the significant adverse impacts  
5 or any finding of likely significant adverse impacts,  
6 your -- your finalizing some design is worthwhile.

7                   But when the Board is making its decision  
8 about this project, it's going to need a pretty clear  
9 idea of what it is that you're proposing, and, you know,  
10 it would be irresponsible for it to make its decision if  
11 it didn't have a pretty clear idea of this. So I -- I  
12 just wanted to make that -- that point clear and on the  
13 record.

14

15 --- UNDERTAKING NO. 3:           Giant Mine project team to  
16                                   provide information on what  
17                                   changes have been made to the  
18                                   DAR resulting in significant  
19                                   impacts

20

21                   MS. LISA DYER:   Excellent. Thank you,  
22 Alan. And I'm glad that you brought up the point that  
23 we're looking at significant impacts, and so we'll be  
24 focussing on that if there's a change that we see  
25 modifying impacts.

1                   MR. ALAN EHRLICH:   Haven't got my  
2 questions in yet, but the break time is upon us. So  
3 let's do a ten (10) minute break, start again at, oh,  
4 let's say -- yeah, let's make -- can we make it a seven  
5 (7) minute break? Can people live with that? We'll --  
6 we'll start at 2:45.

7

8     --- Upon recessing at 2:38 p.m.

9     --- Upon resuming at 2:50 p.m.

10

11                   THE FACILITATOR EHRLICH:   I'm going to  
12 ask everyone to take their seats again, we're going to  
13 get rolling. For the remainder of the afternoon the  
14 questions for the next half hour or so are going to come  
15 primarily from Environment Canada and DFO, which  
16 organizations haven't had a -- organizations that haven't  
17 asked any questions in this to date, but have waited  
18 patiently for the last day and a half.

19                   And then following that the Review Board's  
20 experts are going to have an opportunity to ask  
21 questions, and I've still got some of mine I -- I haven't  
22 got off my chest yet.

23                   If necessary, what will happen is that  
24 tomorr -- that some of this subject may be carried over  
25 until tomorrow morning, because it obviously needs a -- a

1 more robust handling here and we can make up for that  
2 tomorrow day, I -- I really believe, based on the -- the  
3 subject matter we're going to be dealing with.

4 Does anyone at DFO or Environment Canada  
5 have a question they'd like to ask?

6

7 (BRIEF PAUSE)

8

9 THE FACILITATOR EHRLICH: Two (2) points  
10 before I hand it over the Amy Sparks of Environment  
11 Canada. One (1) point is there's a sign-in sheet coming  
12 around. Please sign it in. There's nothing that makes a  
13 transcriptionist more cranky than not knowing the names  
14 of the people they're supposed to be attributing stuff  
15 to.

16 So please sign the sign-in sheet. That's  
17 people at the table. And when it gets to the end of the  
18 table please hand it to the Chairs. Thanks.

19 The other thing is that I want to remind  
20 you that as I said in the opening comments it's a public  
21 session. CBC is here and is interested and they've asked  
22 the sound people if they can -- now remember that all of  
23 this is transcribed and on the record anyway, so it's all  
24 public, but they've asked if they can record the session.

25 The Giant Mine team has indicated that

1 they've got no problem with that. Presumably it's for  
2 use by the CBC at some later time.

3 Is everyone else okay with that?  
4

5 (BRIEF PAUSE)  
6

7 THE FACILITATOR EHRLICH: All right. So  
8 then just please be advised that the session is being  
9 recorded as well and you might hear snippets of it in --  
10 in the news. Okay. Amy Sparks of Environment Canada.

11 MS. ANY SPARKS: Thanks, Amy. So we have  
12 a couple questions about the diffuser, just to go back to  
13 that first and then some more quality stuff. So my first  
14 question isn't difficult, but we're just starting to  
15 learn kind of where the diffuser location is now, and --  
16 and how the mixing zone is going to look.

17 And I'm wondering about how the mixing  
18 zone was decided to be 15 metres. Was that just based  
19 purely on meeting fresh water aquatic life or were there  
20 other factors that played into that decision?

21 MS. LISA DYER: Thank you, Amy. I'm  
22 going to ask John Hull to come to the table, if someone  
23 can make some room for John, and -- and we'll get him to  
24 answer -- respond to this question.

25 THE FACILITATOR EHRLICH: And in the

1 interest of time -- it's Alan again -- I'd just encourage  
2 where a concise answer is informative enough, please feel  
3 -- feel free to try to keep it focussed. This is not a  
4 particular jab at -- at John Hull, it's just looking at  
5 the amount of terrain we've got between us and the end of  
6 the subject. We need to keep rolling along. Thank you.

7 MR. JOHN HULL: John Hull. The 15 metres  
8 was picked in part because of the water depth of 13  
9 metres and the desire to have the mixing zone which would  
10 not have an impact on the underside of the ice during the  
11 winter conditions.

12

13 (BRIEF PAUSE)

14

15 THE FACILITATOR EHRLICH: Amy, do you  
16 have a follow-up, or -- or your colleagues at DFO?

17 MS. AMY SPARKS: I guess I have a -- a  
18 bit of a follow-up -- sorry, Amy Sparks -- because it  
19 shows in the diagram that it would be required that the  
20 depth would be 9 metres, but now we're seeing 13, is that  
21 a difference?

22 I'm just wondering about the plume since  
23 the mixing zone isn't 15 metres deep, it's -- it would be  
24 15 metres long, how that's going to be different on the  
25 surface, because you're not going to be meeting those

1 objectives there.

2 THE FACILITATOR EHRLICH: Giant Team...?

3 MR. NATHAN SCHMIDT: Yeah, Nathan  
4 Schmidt. The -- the 15 metre dimension that we're  
5 talking about is strictly lateral, so, you know,  
6 upstream, downstream, side to side.

7 We are proposing that it's in a sufficient  
8 depth that -- that the plume never actually, you know,  
9 hits the surface before the mixing zone boundary.

10 THE FACILITATOR EHRLICH: Amy, I see you  
11 nodding. Could you articulate that nod into a  
12 microphone, please?

13 MS. AMY SPARKS: I don't know how to make  
14 a nodding sound. Amy Sparks. That's good. Thank you.

15 THE FACILITATOR EHRLICH: I see Morag  
16 McPherson of DFO has a question.

17 MS. MORAG MCPHERSON: Yeah, thank you.  
18 Morag McPherson with Fisheries and Oceans. We did have a  
19 couple of quick questions on the diffuser. We had  
20 several other questions on Baker Creek as well, but I  
21 think we'll move to some of the water quality questions  
22 from Environment Canada and then see where that goes and  
23 -- and potentially move the -- the Baker Creek stuff to -  
24 - to tomorrow. But we'll sort of start with some of the  
25 diffuser questions that we had.



1                   As you were saying, there's been a lot of  
2 questions through the IRs on sort of design details  
3 around the diffuser location from several other parties  
4 as well, and, as presented in the presentation today, it  
5 was sort of one (1) location.

6                   I just wanted a question of clarification:  
7 Is that location that's been sort of proposed here in the  
8 presentation -- is it the same as location number 2  
9 that's presented in the DAR, or is it actually a slightly  
10 different location than the three (3) that were presented  
11 in the DAR?

12                   MR. JOHN HULL:     John Hull.   Location 2 is  
13 the closest location.   It was moved from location 2 to  
14 slightly deeper water and about 50 to 100 metres closer  
15 to the river, what we can see or identified as the  
16 Yellowknife River, through the Yellowknife Bay area.

17                   Site 1 is in -- turns out to be in shallow  
18 water where we have better bathymetry, and site 3 turns  
19 out to be in a hole which we identified only with better  
20 bathymetry that we collected for the preliminary design  
21 from previous work that had been done that wasn't as  
22 accurate.

23                   THE FACILITATOR EHRLICH:   So what I'm  
24 hearing there is it's 50 metres towards the Yellowknife  
25 River from Site 2, correct?

1                   MR. JOHN HULL:    Fifty (50) downstream.  
2   Not into the river, but downstream.   John Hull.

3                   THE FACILITATOR EHRLICH:   Are you saying  
4   it's 50 metres away from the former site to -- away from  
5   the direction of the Yellowknife River, or is it 50  
6   metres closer to the Yellowknife River than Site 2 was?

7                   MR. JOHN HULL:    It -- John Hull.  It's 50  
8   metres going in a downstream direction, but not moving  
9   into the -- the river; it's right at the edge of the --  
10  what would look like to be the -- the channel, as defined  
11  by Latham Island, just in that small region.

12                  THE FACILITATOR EHRLICH:   Is that clear  
13  enough, Morag?

14                  MS. MORAG MCPHERSON:    Yeah, it is,  
15  thanks.  I just wanted to make sure it was -- we were  
16  clear on whether it was closest to location 2, if it was  
17  the same, or sort of how far off it was from that.

18                  I have a -- sort of a follow-up question  
19  on that.  Based on the information presented in the DAR  
20  on the habitat in the bay in terms of a habitat  
21  assessment around the diffuser, there were some  
22  challenges with that, some of the information that was  
23  attempted to be gathered prior to the DAR, and I believe  
24  there was also a statement saying that there would be  
25  additional information collected.

1 I was just wondering if the Giant Mine  
2 team could provide an update, now that there's sort of  
3 one (1) preferred alignment that seems to be coming  
4 forward, on the status of any habitat assessment activity  
5 for this proposed diffuser location. Just a -- an update  
6 on sort of where -- where that -- that work is at.

7

8 (BRIEF PAUSE)

9

10 MS. LISA DYER: Thanks, Morag. Lisa  
11 Dyer. We are planning to do some under-ice work in  
12 conjunction with the work that's being -- further  
13 modelling work that's being done on the diffuser, so that  
14 should -- should start around January, and then we will  
15 need to follow up with work during the summer season.

16 THE FACILITATOR EHRLICH: Another  
17 question from DFO?

18 MS. MORAG MCPHERSON: Yeah. I guess a  
19 quick follow-up and then I think maybe Environment Canada  
20 has a follow-up as well. Just if there is more  
21 particulars on -- on what work, I guess, you're  
22 considering doing in the summer would maybe be a little  
23 bit helpful, just so we sort of know what type of  
24 information may be introduced and when.

25 MS. LISA DYER: Lisa Dyer. I'm going to

1 ask Hillary Machtans to speak to the program she is  
2 currently working with us to develop, and she gets the  
3 names of benthic thingies better than I do.

4 MS. HILLARY MACHTANS: Thanks. Hillary  
5 Machtans, Golder Associates. Yes, so at this time, the  
6 preliminary plan is to collect sort of standard aquatic  
7 parameters under ice and then through the open-water  
8 season, so probably a -- a four (4) quarter program next  
9 year, mostly to support the modelling, to -- so to  
10 continue to gather enough information for -- to support  
11 the 3D model, but, at the same time, support the habitat  
12 assessment. So likely water quality at depth and water  
13 quality at surface, water quality profiles, sediment  
14 quality, sediment composition, benthic invertebrates, and  
15 -- and probably not at this time fisheries composition.

16 MS. MORAG MCPHERSON: Thank you.

17 THE FACILITATOR EHRLICH: Have you  
18 noticed that since lunchtime, since the Giant team has  
19 deposited a large metal bright blue hunk of the diffuser  
20 into the middle of the table, most of the questions have  
21 had to do with the diffuser? I just wonder about the  
22 influence of our surroundings.

23 Environment Canada, or DFO...? I see Lisa  
24 Lowman. Can you also name your organization, and...

25 MS. LISA LOWMAN: Lisa Lowman from

1 Environment Canada. I just had a few comments and some  
2 questions following that.

3 In reference to the -- the previous water  
4 licence effluent quality criteria presented on page 18 of  
5 the proponent's presentation, overall Environment Canada  
6 feels that the discharge criteria may not be stringent  
7 enough.

8 And those criteria were based on --  
9 primarily on the Metal Mining Effluent Regulations. So I  
10 just wanted to make that comment.

11 The Metal Mining Effluent Regulations --  
12 excuse me -- provide minimum national standards, and  
13 represent discharge levels that have not been evaluated  
14 in this assessment, and that would not be deemed  
15 desirable for year-round discharge to Yellowknife Bay.

16 Environment Canada acknowl -- acknowledges  
17 that there will be improved water quality discharges;  
18 however, the new proposed discharge location is  
19 characteristic of a more pristine receiving environment.

20 As well, Environment Canada is encouraging  
21 a full suite of parameters be evaluated beyond Metal Mine  
22 Effluent Regulations. That is standard metal suite and  
23 major ions, which would include, you know, parameters  
24 such as aluminum, arsenic, cadmium, copper, lead, nickel,  
25 zinc, nitrogen compounds, total suspended solids, oils

1 and grease.

2 And Environment Canada notes that proposed  
3 water quality objectives for various parameters on page  
4 27 of the proponent's presentation, you know, would fall  
5 at the edge of the mixing zone, so we just wanted to  
6 acknowledge that.

7 So with respect to nitrogen compounds,  
8 Environment Canada recognizes that there would be more  
9 bore -- borehole drilling -- that there was more borehole  
10 drilling historically than present; however, does the  
11 proponent anticipate any historical nitrogen in the  
12 underground mine workings resulting in mobilization via  
13 flooding?

14 So that's one (1) question. I have a  
15 couple more.

16 THE FACILITATOR EHRLICH: With regard to  
17 the preamble, if Environment Canada is asking because it  
18 thinks that it -- this has something to do with the  
19 potential for likely significant adverse environmental  
20 impacts, then that -- that's suitable for the  
21 environmental assessment phase.

22 Where it doesn't pertain to the likelihood  
23 of significant adverse environmental impacts, the  
24 regulatory phase is always ready to --

25 MS. LISA LOWMAN: M-hm.

1 THE FACILITATOR EHRLICH: -- deal with it  
2 as well. But I -- I understand your -- your point, and  
3 your --

4 MS. LISA LOWMAN: Yeah.

5 THE FACILITATOR EHRLICH: -- your  
6 question stands. Can you just rephrase the last sentence  
7 again?

8 MS. LISA LOWMAN: Sure. Yeah, and I  
9 mean, we are -- we're just -- I'm just bringing this up  
10 now rather than -- than later just so that there's some  
11 thought behind it.

12 So I guess that question -- it was with  
13 respect to nitrogen compounds. And so Environment Canada  
14 does recognize that there will be -- that there was more  
15 borehole drilling historically than present. However,  
16 does the proponent anticipate any historical nitrogen in  
17 the underground mine workings resulting in mobilization  
18 via flooding?

19 So that is one (1) of our concerns that we  
20 have, so...

21 THE FACILITATOR EHRLICH: Does it? The  
22 proponent...?

23

24 (BRIEF PAUSE)

25

1 MS. LISA DYER: So in response to Lisa's  
2 comments -- it's Lisa Dyer here responding to Lisa.  
3 First of all thank you for your kind of comments on  
4 Environment Canada's perspective on regulatory  
5 requirements for the project. That's very helpful for us  
6 and we'll take that under consideration.

7 With respect to nitrogen, it is --  
8 currently there's no development work happening at this  
9 point in time, but as we move forward with the freeze  
10 there will be some development work. Will there be  
11 nitrogen compounds used, yes, so this is a parameter that  
12 we're going to have to consider in the future. So part  
13 of that is good management, underground management, and  
14 proper storage and use of that, which is what we will  
15 implement.

16 We have seen -- as the mine water flooded  
17 we did see some nitrogen levels increase and that is  
18 something that we are monitoring at this point and will  
19 have to monitor. But we do not assume that they will be  
20 significantly higher.

21 MS. LISA LOWMAN: Great. Thanks. I just  
22 have a couple other questions that relate to mine water  
23 quality as well. In reference to mine water quality on  
24 page 17 of the presentation, where the proponent  
25 indicates salinity from deep groundwater does not affect



1 the treatment process nor water quality at the edge of  
2 the mixing zone, Environment Canada would like to know  
3 what evidence or rationale the proponent has to support  
4 that. And also, Environment Canada would like to know  
5 what will be the extent of increased salinity in the  
6 Yellowknife Bay and associated floc, so a two (2) part  
7 question.

8 MS. LISA DYER: I'm just going to take a  
9 moment to talk to Till and Kyla and we'll get back to you  
10 and respond to that.

11 MS. LISA LOWMAN: Great. Thanks.

12

13 (BRIEF PAUSE)

14

15 MS. KYLA KIRK: Okay. Kyla Kirk. We do  
16 have some data with the salinity in the Northwest Pond  
17 and this is what's currently being treated by the  
18 existing plant and this is still being discharged into  
19 Baker Creek and will eventually make its way into  
20 Yellowknife Bay.

21 We do not anticipate that it will change -  
22 - affect our process, because our current process is not  
23 designed to remove salinity, neither is the existing  
24 process. So as to what evidence we have, it's not gonna  
25 change. Whatever is going into there right now is

1 exactly what's going to be going in in the future.

2 Hopefully that helps. Kyla Kirk.

3 MS. LISA LOWMAN: So I guess the follow-  
4 up question to that -- thank you for that. It's Lisa  
5 Lowman, Environment Canada. So just to follow up,  
6 Environment Canada would like to know, you know, if  
7 there's no change, what -- still what would be the extent  
8 of increased salinity in Yellowknife? Not increased, but  
9 the level of salinity in Yellowknife, and associated  
10 effects. Has that been considered or looked at?

11

12 (BRIEF PAUSE)

13

14 MR. BRUCE HALBERT: Bruce Halbert. It's  
15 on? Okay.

16 THE FACILITATOR EHRLICH: Please go  
17 ahead, Bruce.

18 MR. BRUCE HALBERT: To answer your  
19 question about salinity, the -- I understand from our  
20 discussion here that the TDS concentration that's being  
21 pumped up to -- through the system is about 500  
22 milligrams per litre.

23 That, when diluted, in the -- in the  
24 effluent diffuser, which Nathan was indicating is a  
25 hundred -- a hundred to one (1) to a hundred and fifty

1 (150) to one (1) depending on which -- which profile  
2 you're looking at, translates into about a 5 milligram  
3 per litre increase above baseline in the system, so  
4 that's really a minor consequence.

5 MS. LISA LOWMAN: Sorry, what was that  
6 last part, five (5)?

7 MR. BRUCE HALBERT: Milligram per litre  
8 on top of background.

9 MS. LISA LOWMAN: Okay. Thank you.

10

11 (BRIEF PAUSE)

12

13 THE FACILITATOR EHRLICH: Lisa, do you  
14 have more questions?

15 MS. LISA LOWMAN: Yeah, one (1) more  
16 question. It's Lisa Lowman, Environment Canada. This is  
17 a slightly different topic. Okay. The Aquatic Effects  
18 Monitoring Program, I know currently under the MMERs the  
19 Environmental Effects Monitoring Program applies.

20 But my question is, has there been any  
21 prelim -- prelim -- preliminary discussions with the  
22 Mackenzie Valley Land and Water Board with respect to  
23 requirements of an AEMP Program associated with the  
24 upcoming water licence?

25 I'm just wondering if there's been any

1 initial discussions as of yet?

2 MR. ADRIAN PARADIS: Adrian Paradis for  
3 Giant Mine Project Team. We've had some -- we haven't  
4 had any preliminary discussions with the Mackenzie Valley  
5 Land and Water Board on the Aquatic Effects Monitoring  
6 Program. We have had other discussions with them on  
7 other issues, but not this.

8

9 (BRIEF PAUSE)

10

11 MS. LISA LOWMAN: Okay. Great. Thank  
12 you. That -- that's all I had for questions.

13 THE FACILITATOR EHRLICH: Does DFO have  
14 any other questions? Who would like to launch them?  
15 Give 'er.

16 MS. MORAG MCPHERSON: Thank you. Morag  
17 McPherson with Fisheries and Oceans. We had a -- a  
18 number of questions on some of the information presented  
19 on Baker Creek as well as the North Diversion, so I'll  
20 start off, I'll see how far we go and I obviously want to  
21 allow the Board to have questions so you can cut us off  
22 and we'll -- we'll see where we're at.

23 Several of these questions are just more  
24 wanting to provide some clarification for ourselves, for  
25 the other parties on the record. In the DAR, for the

1 remediation options for Baker Creek on the mine site, it  
2 indicates that clear preferences have only been selected  
3 for Reaches 1, 3 and 4, and outlines a number of options  
4 for each of the remaining Reaches. So that's Reach 0, 2,  
5 5, and 6.

6           And it goes on to sort of talk about how  
7 there's some additional weighing of pros and cons,  
8 feasibility of being able to handle some of the  
9 contamination issues in each of those Reaches.

10           However, the information in this  
11 presentation, as presented, sort of seems to outline only  
12 one (1) remediation option for Reaches 0 and 2 related to  
13 sediment. And I know when Nathan was presenting it and  
14 spoke to it, he said, Well, depending on the results of  
15 current studies. But as the information was presented in  
16 the presentation it just outlines one (1) option in terms  
17 of removal of sediment.

18           I just wanted to clarify. I know he -- he  
19 did indicated that it's -- you know, these options are  
20 dependent on -- on current studies, but just was  
21 wondering if the Giant Mine project team could clarify  
22 what the status is of these additional studies that are  
23 underway to assess sediments in these Reaches, and how  
24 this relates to the selection of the final remediation  
25 options for these Reaches where there hasn't been a clear

1 preference outlined yet?

2 MS. LISA DYER: Lisa Dyer. So, Morag,  
3 just to make sure I fully understood your question, you  
4 were asking about the sediment study that has been  
5 undertaken recently. I'm gonna ask Hillary to speak to  
6 that, because she has been a project lead for the work  
7 that has been done on the sediments, and then we can  
8 follow up with talking about how we will use this  
9 information to inform the decision for the remediation  
10 plan.

11 MS. HILLARY MACHTANS: Hillary Machtans,  
12 Golder Associates. So I can give a very brief version.  
13 So currently we've just completed a -- a sediment study  
14 of Baker Creek, and it included Reach 0 to Reach 6, so  
15 sort of bottom to top. It included surface sediment,  
16 sediment core -- so subsurface sediment -- water quality,  
17 water toxicity, sediment toxicity, and benthic  
18 invertebrates, and periphyton.

19 So all the -- that field work was actually  
20 just completed last week, so the status is pending, if  
21 you will, for -- for all the data, so it will be a number  
22 of weeks before we have some of that lab data back. And  
23 it's my understanding that the first to come will be  
24 sediment thicknesses and sediment metal concentrations,  
25 and then that informs -- again, like Lisa said, someone

1 else may speak to that -- the decisions on -- on  
2 individual Reaches.

3                   So it's just, I think, pending, but field  
4 work complete, lab analysis to come.

5                   THE FACILITATOR EHRLICH:    Thank you.  
6 Morag...?

7                   MS. MORAG MCPHERSON:    Yeah.  Thank you  
8 very much.  Morag McPherson with Fisheries and Oceans.  
9 As the project team knows, DFO has been involved in some  
10 of the -- providing some advice on some of the studies  
11 that need to be undertaken.

12                   I just wanted to put this out to clarify  
13 that, if there had been some additional thinking or -- or  
14 other sort of movement towards certain preferred options,  
15 if -- if things had progressed or there was an update on  
16 that, that it was sort of brought out right now in terms  
17 of if anything has moved forward, or just clarifying that  
18 -- that they're -- they're still sort of up for  
19 discussion right now, and that the options, as outlined  
20 in the DAR, are still sort of evaluating the various  
21 options for these -- for these Reaches.

22                   THE FACILITATOR EHRLICH:    Any other  
23 questions from Environment Canada.  And I didn't hear a  
24 question in that; I heard a statement.  Are there any  
25 other questions from DFO or Environment Canada?

1 MS. LISA DYER: We didn't finish  
2 answering Morag's question.

3 THE FACILITATOR EHRLICH: In that case,  
4 please continue, Lisa.

5 MS. LISA DYER: So Morag's question was:  
6 How would the sediment work and form the final plans for  
7 remediation? We know right now -- well, prior to the --  
8 the assessment, we know that we had elevated levels of  
9 arsenic in sediment, so fairly high levels, and we had  
10 minimal information on the extent and depth of that  
11 contamination. So the big question for us is: What is  
12 the risk of removing the contamination from the stream  
13 bed? Is that going to create more of a problem based  
14 upon its characteristics, or does it make sense to leave  
15 it in place?

16 So we are looking to this study to inform  
17 us on whether there are more risks associated with  
18 removing the sediment or leaving it in place. Obviously,  
19 if we remove the sediment, it makes sense we remove the  
20 contamination, but we may also have to destroy some  
21 valuable ha -- some habitat that's currently being used  
22 to do so, and so we're looking for that study to help  
23 inform us.

24 As Hillary said, it's -- it's still -- we  
25 just finished the field study and we're getting the



1 results back, so we don't have any further information on  
2 that -- to help us inform our decision-making at this  
3 point, but that is a big question for us, is what do we  
4 do with the contaminated sediments.

5                   And first of all, let's characterize what  
6 is -- what is the state of the sediments, and what can we  
7 do to bring Baker Creek back to a more healthier state.

8                   MR. ADRIAN PARADIS:   Adrian Paradis, for  
9 Giant Mine project team. The next half, I believe, off  
10 of what Lisa is talking -- talking about is for those  
11 decisions about either covering, capping, or removing the  
12 sediments is discussions with the community.

13                   We'd need -- need to have an understanding  
14 of once you have that information what your expectations  
15 are, what your understanding would be of what the risk  
16 could be there, so.

17                   Our understanding is that -- that's --  
18 this study is only one (1) component of it. That'll  
19 inform our -- the idea of the risk. The last half of  
20 that needs to be from the community to understand what  
21 your desire is.

22                   MS. AMY SPARKS:   Amy Sparks, Environment  
23 Canada. There's been a struggle to find sufficient, or  
24 appropriate background, or reference locations to compare  
25 to Baker Creek.

1                   Has any work gone into that as part of the  
2 study?

3                   MS. HILLARY MACHTANS:   Hillary Machtans,  
4 Golder Associates.  The answer is yes and no.

5                   So, yes, we've chosen a reference location  
6 in the Yellowknife River because it's a consistent  
7 reference location with the EEM program under the Metal  
8 Mining Regulations.

9                   It's my understanding Environment Canada  
10 Water Resources and Aboriginal Affairs Water Resources  
11 are doing some additional sediment sampling further up in  
12 the Baker Creek watershed.  That -- that data was not  
13 available to us at this time.  So yeah, I guess you would  
14 say preliminary attempts to find other stream reference  
15 locations have begun but were not available at the time  
16 of the study.  So, therefore, the study proceeded with  
17 Yellowknife River, which on the basis of the EEM seemed  
18 an appropriate reference study -- location, pardon me.

19                   THE FACILITATOR EHRLICH:   DFO, are you  
20 okay with holding the rest of your questions on this  
21 subject until tomorrow morning?

22                   As I've indicated earlier, there's going  
23 to be a little bit of overlap of this subject to the  
24 beginning of day 3, and you guys have certainly -- are  
25 certainly organized.

1                   Are you -- how -- how far through your  
2 questions are you?

3                   MS. MORAG MCPHERSON:   Morag with  
4 Fisheries. We're about half way through. We have about  
5 another three (3) related to Baker Creek.

6                   THE FACILITATOR EHRLICH:   There's going  
7 to be more discussion of Baker Creek here today, so it  
8 won't be a bad thing to carry over. That way your  
9 questions will also be informed by whatever responses the  
10 Giant team has produced since.

11                   On the subject of Baker Creek, a couple of  
12 questions from me, but most of the questions for this  
13 part of the agenda are -- are from the Review Board, and  
14 it's -- it's experts, and I want to make sure they have  
15 enough time to ask what they need to.

16                   I was thinking about the recent icing  
17 event. Considering the baseline information you have on  
18 Baker Creek, how it behaves, how predictable that is,  
19 that's the baseline for your project planning related to  
20 Baker Creek, and any impact predictions you have about  
21 it.

22                   And recently -- it's -- it's a matter of  
23 public record that Baker Creek changed its -- its route;  
24 would up going over tailings, and then there was an  
25 unplanned tailings release into Back Bay. Similarly

1 there was an unexpected surprise with a sink hole that I  
2 understand had something to do with groundwater.

3 I was wondering if you could describe in -  
4 - in detail why this came as a surprise? What happened  
5 with Baker Creek to make it change its -- its route this  
6 spring?

7 You've mentioned an icing event. You've  
8 mentioned elf ice. Can you give me a really short  
9 version of -- of what happened this spring?

10 MR. NATHAN SCHMIDT: Nathan Schmidt. The  
11 icing that we observed this spring, what I'm told by  
12 people at the site that have been there for decades, is  
13 that it was unusual, and as you said, unanticipated.

14 One (1) of the things that, you know, I  
15 got to do when we were up there doing the fix up on it  
16 was sta -- talk to Steve Coequal (phonetic) over at INAC.  
17 And he has a -- quite a major interest in the topic, and  
18 a lot of ideas.

19 Some of the, you know, suggestions are  
20 that there may have been, you know, some sort of shift, a  
21 climate shift in the late '90s that they think they've  
22 identified where we're getting more of what we see out  
23 there today and yesterday, the kind of late season rain,  
24 that sort of thing that can actually sustain these --  
25 these seeps, you know, over the course of the winter and

1 that develop into the -- the elf ice development, that  
2 sort of thing.

3                   So, you know, at this point there are a  
4 lot of unknowns there. What we've done in our design is  
5 put in a pretty conservative, from my view, allocation  
6 for elf ice development. And like I said this morning,  
7 the area that was worst within the mine site at least,  
8 was at Reach 3 area. That does not have a flood plain,  
9 and, you know, providing a sufficient flood plain for  
10 that accumulation is also, you know, a mitigating measure  
11 that would be incorporated into the design.

12                   Does that help?

13                   THE FACILITATOR EHRLICH: Yes, that --  
14 that helps very well. Thank you. I -- I think Baker  
15 Creek has at least shown that it was not entirely  
16 predictable. I certainly would suggest that the -- if  
17 the events this spring were predictable you would have  
18 predicted them because I know you're looking at the site  
19 very carefully.

20                   So we know it's a -- a somewhat  
21 unpredictable source of heat and water to an area where  
22 you want to -- where groundwater is a bit of an issue and  
23 you want to keep something frozen for a very long time.

24                   In the Giant team's response to Review  
25 Board IR number 18 you stated that, and I quote:

1                   "One (1) priority for any modifications  
2                   to Baker Creek is to ensure that its  
3                   hydrological characteristics are ideal  
4                   for the long-term management of the  
5                   site."

6                   And it says a second priority is:

7                   "To manage potential risks to  
8                   ecological and human receptors."

9                   Now I'm wondering, based on that, if it  
10                  would be fair to say in -- in -- in your view, if the  
11                  creek were to pose an unacceptable long-term risk to  
12                  arsenic containment and water management, would you be  
13                  willing to pursue relocating it to the North?

14                  Now you've -- you've indicated in your  
15                  presentation earlier that there is a contingency you've  
16                  been exploring, which involves rerouting -- it looked to  
17                  me like Baker Creek from Martin Lake and hooking up to  
18                  the Yellowknife River via some existing lakes and some --  
19                  some new workings.

20                  And so, again, my question is, is it fair  
21                  to say that if the creek were to pose an unacceptable  
22                  long-term risk to arsenic containment and water  
23                  management, you'd be willing to pursue relocating it?

24                  MS. LISA DYER: Lisa Dyer. Thanks for  
25                  the question, Alan. It's -- it's a good question and

1 it's one (1) of the things that we've been asked to look  
2 at as part of Section 37. We got a directive this spring  
3 to put a cap on the tailings and to make sure that we  
4 didn't have sediment release again into Baker Creek.

5 As part of that we've been asked to look  
6 at contingencies to deal with the changing nature and --  
7 of Baker Creek. And so we are currently looking at this  
8 North Diversion as part of that Section 37 directive.  
9 And so we are currently at the early stages.

10 As Nathan has said, we've looked at is  
11 there a technically feasible route. And so that's the  
12 investigation that's been done. He's showed two (2)  
13 potential routes, one (1) for fish passage, one (1) for  
14 not.

15 Obviously, you know, we have two (2)  
16 things. When we do the risk assessment, and this will  
17 come out on Thursday, is that one (1) of the greatest  
18 risks on site at Baker Creek is -- or sorry, one (1) of  
19 the greatest site risks at Giant Mine is Baker Creek.  
20 And so if we felt that we could not properly contain  
21 Baker Creek and it posed a risk to the underground, the  
22 North Diversion would be a contingency that we could use.

23 Ultimately, our goal is to protect the  
24 site and ensure that we don't have it -- any -- it's  
25 getting lost into the underground. So currently our

1 proposed, in the remediation plan, is to keep it on site.  
2 It's a contingency that we're exploring as part of the  
3 Section 37 directive and as part of due diligence due to  
4 the high-risk nature of this issue.

5 THE FACILITATOR EHRLICH: Thank you. I'm  
6 clear that your current plan is to keep Baker Creek on  
7 site. You've indicated that it's a contingency, and so  
8 then the question is: What's it contingent on? The --  
9 the question that I'm asking is:

10 Would you be willing to pursue relocating  
11 it if the creek were to pose an unacceptable long-term  
12 risk to arsenic containment?

13 MS. LISA DYER: The answer -- Lisa Dyer -  
14 - is yes.

15 THE FACILITATOR EHRLICH: Thank you.  
16 I've got other questions that I could launch into, but I  
17 don't want to take too much time from the Board experts  
18 who've also come a long way and have really restrained  
19 themselves from jumping into conversation up to this  
20 point today.

21 Do any of the Board's experts have any  
22 questions? Hold on one (1) second, please.

23

24

(BRIEF PAUSE)

25



1 THE FACILITATOR EHRLICH: Okay. Doug  
2 Ramsey...?

3 MR. DOUG RAMSEY: Doug Ramsey. My  
4 question's related to Baker Creek, going back to the  
5 proponent's presentation this morning. I noticed that  
6 one (1) of the key design criteria for the Baker Creek  
7 works is a 1 in 500 year flood event on top of, what was  
8 it, 2 metres of anchor ice, and allowing for a metre of  
9 freeboard.

10 Now, I guess my first question in that  
11 regard is: How did you come to choosing the 1 in 500  
12 year event as being the design criterion?

13 MR. NATHAN SCHMIDT: Okay. That goes  
14 back to a workshop we had in Yellowknife in early July  
15 2010 with a number of, you know, INAC, Public Works, and  
16 other participants, and that was a number that was  
17 generally agreed upon. Nathan Schmidt.

18 MR. DOUG RAMSEY: Doug Ramsey. Following  
19 on from that, given the importance of ensuring that Baker  
20 Creek does not overtop its banks because of its proximity  
21 to a number of characteristics of the mine site they're  
22 important to keep water out of, I was wondering if, given  
23 that frequency, and carrying through the arithmetic that  
24 it's a .2 percent probability in any given year, but if  
25 you take that through to fifty (50) years, it becomes a

1 10 percent probability; a hundred (100) years, 20  
2 percent; and so on.

3 Was that kind of relatively high  
4 probability over a relatively short term, in  
5 consideration of this being management in perpetuity, was  
6 that kind of relatively high probability on a multi-  
7 decade instance considered to provide adequate prevention  
8 against overtopping of the Baker Creek banks?

9

10 (BRIEF PAUSE)

11

12 MR. NATHAN SCHMIDT: Okay, sorry for the  
13 delay there, Nathan Schmidt. We -- we have the five  
14 hundred (500) year flood, but we also have it compounded  
15 with the anchor ice, and we also have it compounded with  
16 the additional freeboard.

17 So your math is -- is good; I don't  
18 question it. But we believe that the five hundred (500)  
19 year flood, with those other conditions, is not a five  
20 hundred (500) year event. It's -- it's a much lower  
21 frequency event.

22 For instance, if we -- if we look at a --  
23 an ice free channel, you know, we've got much, much  
24 greater -- we've got at least triple the flow area there  
25 compared to what we would have under this condition.

1 THE FACILITATOR EHRLICH: Doug, you want  
2 to follow up?

3 MR. DOUG RAMSEY: Well, I think following  
4 on -- Doug Ramsey, pardon me, following on from the --  
5 the question that kind of introduced this -- this line of  
6 inquiry, it seems at this point that we don't have a very  
7 good predictive ability with respect to predicting anchor  
8 ice.

9 And the fact that it may be connected to  
10 climate change in some way, how was climate change taken  
11 into consideration in the selection of that criteria, or  
12 even in determining what the 1 in 500 year flood event  
13 was, if at all?

14 MR. NATHAN SCHMIDT: Okay. There wasn't  
15 any explicit, you know, allocation for climate change  
16 there. One (1) of the things that we did do -- Nathan  
17 Schmidt here.

18 One (1) of the things that we did do was  
19 between when the -- the initial numbers that you see in  
20 the DAR were calculated, and that was in the first part  
21 of the 2000s, I believe, are based on data, you know,  
22 from the first part of the -- the 2000s.

23 We did re-evaluate -- redo the frequency  
24 analysis based on more up-to-date data, including to 2009  
25 or 2010. The -- the number actually came down by about

1 10 percent for that five hundred (500) year value.

2 We did continue with the larger number,  
3 giving us a little bit of extra cushion there. So  
4 because we don't have, you know, adequate predications or  
5 anything for the future, we did add a little bit of a  
6 cushion in there to -- to take care of that to some  
7 extent, the uncertainty.

8

9 (BRIEF PAUSE)

10

11 THE FACILITATOR EHRLICH: Just for the --  
12 for -- for my -- you know, I -- I have a little  
13 clarification to ask, but Dr. Cesar Oboni is our -- our  
14 risk assessment specialist, and he has a question he'd  
15 like to ask.

16 DR. CESAR OBONI: Yeah, Cesar Oboni from  
17 the -- on behalf of the Review Board. I just want to  
18 clarify the -- what -- the probability and frequency.  
19 Those are completely different issues, and I just want  
20 for math wise. If we take for example the next hundred  
21 (100) years, it's going to be 20 percent of chance to see  
22 at least twenty (20) events, so it's a lot more than to  
23 see one (1).

24 Now my question is: How much of a bias is  
25 it talking about frequency when we're talking of -- at

1 perpetuity process, and isn't that a bit misleading the  
2 public in terms of giving false sense of security?

3 MS. LISA DYER: Sorry, Cesar. I'm --

4 MR. CESAR OBONI: Yes.

5 MS. LISA DYER: -- I'm not sure what the  
6 question was there.

7 MR. CESAR OBONI: So the question  
8 basically is: How is the public understanding that we're  
9 talking about frequency when actually it's an at  
10 perpetuity process? And isn't that a bit misleading?

11

12 (BRIEF PAUSE)

13

14 MR. CESAR OBONI: Excuse me, I can bring  
15 so -- an example for example. So far in France, for  
16 instance, nuclear power plants are designed to withst --  
17 withstand an earthquake twice as strong as the one  
18 thousand (1,000) years, even calculated for each site.

19 MS. LISA DYER: Sorry, I'm still not  
20 quite understanding what line of questioning and -- and  
21 what -- what you're looking for us in a response, because  
22 you're referring to public safety but then going back to  
23 probabilities and frequencies.

24 So if there's a question on probabilities  
25 and frequencies, if you could clarify that we can answer

1 that. And I think it's a judgment call that we're trying  
2 to give false sense of security to the public where  
3 actually, the goal of this Remediation Project is to  
4 protect people and the environment.

5 So I'm just having a hard time seeing how  
6 those two (2) are connected.

7

8 (BRIEF PAUSE)

9

10 MR. CESAR OBONI: Yeah. So my -- my  
11 question is how the credibility threshold are set up.  
12 That's basically it.

13

14 (BRIEF PAUSE)

15

16 THE FACILITATOR EHRLICH: If I -- if I  
17 may, I can just clarify a little bit about the part about  
18 French nuclear power plants.

19 The -- the point that Cesar has relayed to  
20 me is that when the French designed their nuclear power  
21 plants, not their nuclear waste storage, but their  
22 nuclear power plants they designed them to a -- a 1 in  
23 1000 year probability of it -- actually, they double it  
24 for the sake of safety.

25 So if the French are -- are -- assuming

1 that that's a reasonable standard for a nuclear power  
2 plant, which isn't intended to go on in perpetuity, but  
3 your project is proposing perpetuity, why do you feel  
4 that 1 in 500 years is a reasonable design criteria?

5 Cesar, did I characterize that part okay?

6 MR. CESAR OBONI: Cesar Oboni. Yes,  
7 absolutely.

8 MR. MARK CRONK: Mark Cronk. Unlike  
9 nuclear power plants, the Giant Mine Project does not  
10 exist in the same state over its entire lifetime. The  
11 acute time of risk is while the chambers are unfrozen.  
12 Once the frozen block is in place, the risk to the  
13 project of a flooding event is essentially gone.

14 THE FACILITATOR EHRLICH: Cesar, do you  
15 have a follow up?

16 MR. CESAR OBONI: Absolutely. Cesar  
17 Oboni. So basically what you are saying is that during  
18 those ten (10) years we are calibrating those five  
19 hundred (500) -- that's rate of return of 1 on 500 years,  
20 only for that ten (10) years period and then it's fine to  
21 flood?

22

23 (BRIEF PAUSE)

24

25 MR. MARK CRONK: Mark Cronk. A fair

1 question. The 1 in 500 year was chosen through a risk  
2 assessment. Our exposure is relatively short. The  
3 consequence of a failure after the frozen block is in  
4 place is really quite small.

5 And so the 1 in 500 was deemed as an  
6 appropriate value based on that.

7 THE FACILITATOR EHRLICH: May I clarify,  
8 Mr. Cronk. You're saying the possibility of a failure is  
9 quite small once the frozen blocks are in place assuming  
10 that the various systems you've described before are  
11 around -- are ready to remediate and repair following  
12 that failure, right?

13 You've indicated before that I think it  
14 was twelve (12) things have to happen before blocks will  
15 -- will thaw unintentionally.

16 MR. MARK CRONK: Yes.

17 THE FACILITATOR EHRLICH: And so when you  
18 say the risk of a failure after that is virtually nil,  
19 you mean assuming those twelve (12) things are -- are in  
20 place?

21 MR. MARK CRONK: Mark Cronk. Correct.  
22 If the remedium -- remediation plan is executed as it's  
23 currently outlined in the RAP and DAR, the risk of  
24 failure after the frozen block is executed is very small.

25 THE FACILITATOR EHRLICH: Thanks for



1 clarifying that. Cesar...?

2 MR. CESAR OBONI: Cesar Oboni. So when  
3 you -- can you clarify on "very small," please?

4 MR. DARYL HOCKLEY: I think -- I think  
5 I've seen this kind of miscommunication on -- on lots of  
6 other projects, so maybe I can help. The -- the  
7 selection of a design criteria is, essentially, an  
8 economic decision. One designs things because, in  
9 essence, if we built everything for the -- the worst-case  
10 scenario we couldn't afford to build anything, right.  
11 So, essentially, it's an economic decision. It's not a  
12 credibility decision.

13 The -- the choice -- I think the best  
14 analog is not nuclear safety, nuclear power plants, but  
15 hydroelectric dams or even mine closures elsewhere, and  
16 tailings dams, for example.

17 The Canadian Dam Safety Association, for  
18 example, has a guideline that says depending on what is  
19 at risk in the event of a dam failure, one shou -- one  
20 should choose a higher level of -- of design.

21 So if -- if you have a town with ten  
22 thousand (10,000) people right at the toe of your dam,  
23 then you design that dam to survive the probable maximum  
24 flood, the maximum conceivable flood.

25 If the -- if you have nothing but a reach

1 of stream that has no environmental value, no human  
2 habitation, you might choose to design the -- the  
3 spillway on that dam to -- to fail in a 1 in 500 or some  
4 -- some such number economically justified.

5           The -- the decision here is that once the  
6 blocks are frozen, the risk of -- the -- the primary risk  
7 associated with flooding the mine and discharging arsenic  
8 is reduced. If you flood the mine after the arsenic  
9 chambers are frozen, you still have a mess. Somebody  
10 still has to spend money to clean it up, but you don't  
11 have a signif -- you haven't sent hundreds of milligrams  
12 per litre of arsenic into Yellowknife Bay, right, so it's  
13 remediable.

14           Generally speaking, now, there's no direct  
15 analog, but those sorts of remedial -- remediable risks,  
16 remediable at cost. I think if you look at analogs in --  
17 in the dam safety industry, they would -- they would  
18 argue that you do not design those for probable maximum  
19 flood conditions. You -- you design them on some  
20 economic basis with conditions. One in 500 is a very  
21 typical in -- in those sorts of circumstances.

22           THE FACILITATOR EHRLICH: I'm going to  
23 head it back to Cesar Oboni, but I do want to just  
24 interject a quick question. I mean, you -- you mentioned  
25 the Canadian Dam Association standards in response to

1 Review Board Number 9.

2 Are those standards suitable for  
3 perpetuity projects? Are they intended for perpetuity  
4 projects? I'm just not familiar enough with dam design  
5 to know which dams were constructed for perpetuity.

6 MR. DARYL HOCKLEY: They are applied in  
7 design of tailings dams, which -- which do exist in  
8 perpetuity. Hydroelectric dams, there is always some  
9 argument whether or not they're going to exist in  
10 perpetuity. That's -- proponents will say that and its  
11 opponents will say they're -- they're not, but they are  
12 in fact applied to many, many structures that are going  
13 to be around for the very, very long-term, yeah.

14 THE FACILITATOR EHRLICH: So then the --  
15 you're saying the Canadian Dam Association standards are  
16 designed for perpetuity?

17 MR. DARYL HOCKLEY: I'm saying they're  
18 applied. I honestly don't know what the writers of that  
19 -- of what they meant for it, but they are certainly  
20 applied in -- in circumstances like that, and similar  
21 guidelines.

22 Australia has a set of guidelines, similar  
23 guidelines around the world are routinely applied to  
24 questions just -- just like this one. Daryl Hockley.

25 THE FACILITATOR EHRLICH: And I'm going

1 to pass it back to Cesar Oboni.

2 MR. CESAR OBONI: I just want to bring  
3 some clarif -- clarification on the Canadian Dam  
4 Association and the ANCOLD, which is the Australian  
5 National Committee of Large Dams. And they're actually  
6 put in relation the number of casualties and an annual  
7 probability.

8 So, this is where the -- there are -- if  
9 we take the example of this remediation, we need to have  
10 an annual probability, and it's -- this is where it gets  
11 tricky to understand for a project that's perpetuity.  
12 That's just a clarification to Alan.

13 THE FACILITATOR EHRLICH: Thanks. Do any  
14 of the Board's consultants have any more questions?

15 Doug, you were following a line of  
16 questioning. I think I diverted you briefly with -- with  
17 this. You were asking about -- your last question had to  
18 do with the application of climate change to predictions  
19 regarding Baker Creek, and I -- I thought I jumped in  
20 before you could follow up.

21 MR. DOUG RAMSEY: Doug Ramsey. Yes,  
22 that's correct, and I just had one (1) follow-up question  
23 on that line. You indicated, in your response to my last  
24 question, that there was - and I'm paraphrasing here - a  
25 cushion to accommodate some aspect of climate change

1 added to your -- your estimate of your 1 in 500 year  
2 flood event.

3 Now, could you provide more specifics on  
4 the nature of that cushion, and where it was derived  
5 from?

6 MR. NATHAN SCHMIDT: Nathan Schmidt. The  
7 -- basically, what I was talking about there was, we had  
8 a frequency analysis, flood frequency analysis, that was  
9 done based on -- and these -- these are going to be  
10 numbers that are close, but not necessarily accurate --  
11 1968 to 2004, and that gave us a 500 year flood value.

12 What we did was then we updated it with  
13 1968 to 2009, and the 500 year value actually dropped.  
14 Now, it dropped by about 10 percent.

15 One thing I should say is any time you're  
16 taking, you know, low-frequency events like the -- the  
17 high return period events from a smaller length of  
18 record, there's a lot of uncertainty there to start with,  
19 but, given that it did drop, we kept the higher numbers,  
20 just to give us an additional, you know, comfort level  
21 there.

22 Does that answer your question?

23 MR. DOUG RAMSEY: Yes, that explains it.  
24 Thank you. Doug Ramsey.

25 MR. NATHAN SCHMIDT: Thank you.

1 THE FACILITATOR EHRLICH: Lukas Arenson  
2 has a question.

3 MR. LUKAS ARENSEN: Lukas Arenson. Just  
4 a quick follow-up question on these climate change  
5 projection, because it's -- Environment Canada or Prouse  
6 Adell (phonetic), he presented in 2009 some regional  
7 study on chan -- expected climate changes in -- in  
8 northern regions, and he, or the authors there, predicted  
9 about 40 percent more precipitation, or even changes in  
10 the IDFs between -- by 2050.

11 So I -- yeah, has -- has this more recent  
12 data been considered, even IPCC 2007, the Prouse report,  
13 the -- the Copenhagen diagnosis, in -- in your climate  
14 change assumption that -- going even into more regional  
15 model? So we are expecting more -- or these all say  
16 we're expecting more precipitation, which would result in  
17 higher flood events, I guess.

18 Has this been considered to -- to some  
19 point?

20 MR. NATHAN SCHMIDT: The short answer to  
21 that is no. I -- the term "expected" is -- eve -- even  
22 predicted, because if you go to the IPCC models, they  
23 specifically use terms like "projections" and "scenarios"  
24 and "plausible futures"; they don't assign any -- any  
25 probabilities to these changes.

1                   There are a couple of papers that are --  
2 and was that Terry Prouse (phonetic), the one you were  
3 talking about? Okay. I -- I may have read that at one  
4 (1) point.

5                   There are a couple of recent papers that  
6 actually focus on northern rivers and northern  
7 meteorology, one by a fellow named Kitt Zedo (phonetic)  
8 with Environment Canada from 2008. It was in the Journal  
9 of Climate, and one (1) of the things he identified was a  
10 -- a shortcoming in the climate modelling in this area,  
11 in the Mackenzie Valley, because of the orographic  
12 effects coming across from the Pacific Ocean, and also a  
13 related dependence on pacific decadal oscillation.

14                   Temperature and precipitation in this area  
15 really does depend on the climate patterns, the long  
16 scale climate patterns that are happening in the north  
17 Pacific.

18                   And to my understanding, that's something  
19 that's not actually picked up in the climate modelling,  
20 so when these models are extrapolating, they're not  
21 picking up some -- some key physical things that we know  
22 exist. Okay.

23                   I'll -- I'll leave it at that. Thank you.

24                   MR. LUKAS ARENSON: Yeah, Lukas Arenson.  
25 I -- I do understand that -- I mean, these -- these are





1 a short caucus here.

2

3

(BRIEF PAUSE)

4

5

THE FACILITATOR EHRLICH: Okay. If I can  
6 pass the -- the microphone back to Lukas Arenson, who has  
7 a request for an undertaking regarding the subject that  
8 we just discussed.

9

MR. LUKAS ARENSEN: Yeah, the -- the  
10 undertaking would -- would be that you could maybe  
11 provide an updated report on the whole -- on your climate  
12 change assumptions, basically.

13

I mean when you go back to the DAR, you  
14 always refer to the IPCC 2001, which is also when you  
15 look at temperature changes, for example, for the frozen  
16 block as we discussed yesterday.

17

The -- the 2001 models were kind of used  
18 at that point. We're now at 2011. Things have changed,  
19 as you said in a couple of reports.

20

So yeah, the undertaking would be if you  
21 could update the parties involved on what has happened  
22 probably on the climate change projection front since --  
23 since your DAR report -- or since your 2001 assumption.

24

25

(BRIEF PAUSE)

1 THE FACILITATOR EHRLICH: Can I add a --  
2 just something to the request. In addition to the  
3 updated report on -- on climate understanding since that  
4 time, it would be helpful if you could also indicate how  
5 that has affected your project design.

6

7 (BRIEF PAUSE)

8

9 MS. LISA DYER: We will be happy to  
10 undertake your request.

11 THE FACILITATOR EHRLICH: Thank you. Do  
12 you think you'll be able to have it in by November 14th?

13 MS. LISA DYER: I will chat with people  
14 and get back to you by the end of today on that. On  
15 tomorrow morning on that, someone has whispered in my  
16 ear, we will get back to you on that undertaking. And I  
17 have someone touching my shoulder.

18 We would like to just have a follow-up  
19 question, on that topic, and Daryl Hockey -- Hockley will  
20 ask that question. Lisa Dyer speaking.

21

22 --- UNDERTAKING NO. 4: For the Giant Team to update  
23 the parties involved on what  
24 has happened on the climate  
25 change projection front since

1                   your 2001 assumption and also  
2                   indicate how that has  
3                   affected the project design.  
4

5                   MR. DARYL HOCKLEY:   Daryl Hockley.  On --  
6                   on another project about five (5) years ago, we did a --  
7                   a -- I think a very thorough search and we -- we brought  
8                   in a couple of noted academics in the field to give us  
9                   the -- the latest opinions on the relationship between  
10                  climate change and extreme events for the purposes of  
11                  hydrologic design.

12                  And their answer was that there really  
13                  isn't any good connection between climate change and  
14                  extreme event predictions, that, in their opinion at  
15                  least, climate change could -- climate change science can  
16                  at best inform us about changes in average precipitation  
17                  or possibly seasonal precipitation, but it wasn't helping  
18                  us much in -- in modifying extreme events.

19                  If -- if you're aware of any additional  
20                  literature on that in the last few years, it would be  
21                  very, very helpful if you could let us know that.

22                  MR. LUKAS ARENSEN:   Yes.  I -- I will.  I  
23                  think we can discuss that off the record as soon as I  
24                  give -- give you a little bit of a -- a background.  Or,  
25                  well, what -- what we typically use in -- for -- for such

1 assessments.

2 THE FACILITATOR EHRLICH: My request is  
3 if you do have a sidebar meeting on that subject, and I  
4 presume it will be over the next couple of days, please -  
5 - we want to capture at least whatever the outcome is on  
6 the record, so please be prepared to at least report back  
7 a short summary of the discussion and it's outcome.

8 Lukas, do you have any other questions?

9 MR. LUKAS ARENSON: No. Thank you.

10 THE FACILITATOR EHRLICH: Okay, I'm going  
11 to ask Dave Tyson who's a consultant for the Review  
12 Board, if he has any questions for the Giant team.

13 MR. DAVE TYSON: Dave Tyson for the  
14 Review Board. I guess I can put it in a short phrase,  
15 which is, would the developer consider relocating Baker  
16 Creek, if Baker Creek was a risk to aquatic life and  
17 human health? I can go on.

18 I know that -- I noticed in the  
19 presentation this morning, that the predicted arsenic  
20 concentrations will exceed CCME guidelines for the  
21 protection of aquatic life. And it -- water quality is  
22 one (1) of his -- one (1) of the habitat components for  
23 fish.

24 So I don't see any indication on how long  
25 this will persist. Is this going to be a -- a chronic

1 addition to the cree -- or to the -- to the stream over a  
2 long period of time? Because then we're talking about,  
3 you know, creating habitat in what's going to be a  
4 chronically -- what would you say, impacted habitat.

5           And I guess, in addition to that, I  
6 understand there's currently a catch and release for  
7 Baker Creek, and normally catch and release is to protect  
8 the stock from the fishers. But in this case, the  
9 application is to protect the fishers from the stock.  
10 And if additional habitat improvements draw more fish  
11 into the creek, does not -- does that not increase the  
12 risk to the fishers? Because everybody obeys the rules,  
13 but also, we cannot expect those fish to only inhabit the  
14 creek.

15           From my own work I know that fish can  
16 travel a long distance in a short period of time. And  
17 people are fishing in Yellowknife Bay, so they can be  
18 exposed to what would be Baker Creek fish in a very short  
19 period of time before the arsenic levels decline in the  
20 fish.

21           So that was the question with the long --  
22 would -- would you consider relocating Baker Creek in  
23 order to -- in order to address these situations?

24           MS. LISA DYER: So just on that, so the  
25 rest of the part was just kind of a commentary and the

1 question really is: Would we consider relocating Baker  
2 Creek? Is that -- is that the main question, or was  
3 there other questions about catch and release and -- and  
4 that in there, in your question?

5 It -- I wasn't quite sure where the  
6 question started and ended, just to clarify.

7 MR. DAVE TYSON: Dave Tyson. Yeah,  
8 essentially I asked the question and then I --

9 MS. LISA DYER: Okay.

10 MR. DAVE TYSON: -- you know, I -- I  
11 could have developed that and then --

12 MS. LISA DYER: Right.

13 MR. DAVE TYSON: -- asked the question.  
14 I mean, is this a sustainable management plan?

15 MS. LISA DYER: Thank you, Dave, and  
16 thank you for letting me clarify that. Right now this is  
17 part of the reason we are doing the sediment assessment  
18 that Hillary has talked about.

19 And we acknowledge that there is  
20 contamination in the -- that we know that the sediments  
21 are contaminated. And so that assessment was to give us  
22 a better handle on that environment and to help us make  
23 decisions based upon whether that environment -- whether  
24 there's something we can do to modify that environment,  
25 such as dealing with the sediments to improve the habitat

1 there.

2                   And so part of that is working with that  
3 study -- using the information from that study to help us  
4 make decisions. I do not feel that -- that I can speak  
5 on habitat, whether habitat is acceptable or not to fish.

6                   We are working with DFO, in a sense asking  
7 them to look at the results that we have to help guide us  
8 on whether this is acceptable habitat for fish or not.  
9 So we are using them as a resource to -- to assist us  
10 with that.

11                   So at this stage we're looking at kind of  
12 the risks associated with the sediments. We're in  
13 initial stages. We don't have all the answers. And that  
14 information will help inform us of whether that  
15 environment is acceptable for -- as habitat or not.

16                   THE FACILITATOR EHRLICH: I -- I'm just  
17 going to throw in a couple of comments. Of course, the  
18 Review Board -- some of the people who fish in  
19 Yellowknife Bay are doing so as part of a traditional  
20 lifestyle and there's subsistence fishing by non-  
21 Aboriginal and Aboriginal peoples. Yellowknife Bay is a  
22 pretty big place.

23                   One (1) of the things the Review Board has  
24 to look at is potential impacts on traditional practices  
25 as well as effects on people in general. And, of course,

1 you're -- you're aware of that.

2                   The other thing the Review Board has to  
3 look at is not just biophysical impacts and  
4 socioeconomic, but public concern is another thing. And  
5 so I think that, you know, some of the points in -- in  
6 Dave Tyson's comment there might apply in a few different  
7 -- a few different ways.

8                   I don't see any people who I know as fish  
9 people, so to speak, you know, any -- any freshwater  
10 biology experts there with the exception of -- of Golder.

11                   So, Hillary, does that mean that -- that  
12 fish questions can be directed to you now? I mean, I --  
13 I -- in the agenda this seems to me to be the most  
14 appropriate place. But what I was wondering is for the  
15 large bodied species of fish that are breeding in -- in  
16 Baker Creek now, is there any regional shortage of  
17 breeding habitat for those species?

18

19                   (BRIEF PAUSE)

20

21                   MS. HILLARY MACHTANS: Hillary Machtans,  
22 Golder Associates. I can answer some, but not all. I --  
23 I think I can just give one (1) preamble just -- just  
24 relating to what Dave was saying and I think if there's  
25 any human health questions, if that's okay, I'd refer



1 that to Bruce rather than myself.

2                   One (1), I think we are aware in -- in the  
3 design that you don't -- and we've had this discussion  
4 with DFO many times -- you don't want to attract fish to  
5 a contaminated site if they can uptake the contaminants.  
6 That -- so that question has to be answered as part of  
7 the -- the options. So, at this point, we do not know if  
8 fish are taking up arsenic. It's my understanding from  
9 the risk assessment based on some -- from fish tissue  
10 data from large-bodied fish, that fish are not taking up  
11 the arsenic in Yellowknife Bay.

12                   We do not know yet from Baker Creek if  
13 they are. Those samples are still pending. So we should  
14 have an answer for both small-bodied fish and large-body  
15 fish and bugs if they are actually taking up the arsenic.

16                   So we have a case where you have high  
17 values in theory, but we don't know if they're bio-  
18 available, if you will. So that's more on the  
19 contaminant side.

20                   From a habitat limiting perspective, we  
21 also don't know the answer to that question. Little is  
22 known about streams from a biology perspective in the  
23 North Slave region. And -- and Dave will please jump in  
24 if I'm -- I'm misstating that. So we -- we cannot  
25 completely state the value of Baker Creek relative to the

1 region or whether or not the habitat is limiting.

2 THE FACILITATOR EHRLICH: From that, it  
3 sounds like the -- what I heard as part of that then is  
4 that it -- there's no particular reason to think that it  
5 is especially important spawning habitat for the species  
6 that are in there, but it's not really understood because  
7 there hasn't been much done in those streams.

8 Is that right? I mean, is there a  
9 perception that it's an especially important breeding  
10 habitat for the fish that use it?

11 MS. HILLARY MACHTANS: And again, Morag  
12 might be better to answer that question -- Hillary  
13 Machtans, from Golder.

14 Is that okay?

15 MS. MORAG MCPHERSON: Morag McPherson,  
16 with Fisheries and Oceans. This was actually part of a  
17 question that we had that related to INAC's response or  
18 Giant Mine team's response to this IR 18. In terms of  
19 the statement saying there's an abundance of superior  
20 habitat, now I think something that, you know, is spelled  
21 out in the DAR in various ways is what is our  
22 understanding of the habitats in Baker Creek.

23 And there isn't just wetland habitat.  
24 It's a seasonal spring spawning stream that has broad  
25 ripple run areas. It has different types of substrates

1 and cobbles. It's three point five (3.5) -- or 2  
2 kilometres of -- of this type of habitat available to  
3 species from Great Slave Lake and from Yellowknife Bay.

4           What we have been discovering over the  
5 last few years is more -- understanding more and more how  
6 much of the creek is being used to produce fish in terms  
7 of arctic grayling being one (1) of the most targeted, I  
8 guess, valued species. And the current catch and release  
9 regulations for -- from a fisheries management  
10 perspective are targeted on protecting the arctic  
11 grayling spawning population.

12           And there are currently objectives under  
13 fisheries management to aid in population recovery  
14 specifically for these gray -- Baker Creek arctic  
15 grayling population. Now, we don't know -- in terms of  
16 population information, we don't know the importance of  
17 Baker Creek to the overall grayling populations in  
18 Yellowknife Bay. There hasn't been that study done.

19           But what we do know from a habitat  
20 perspective, working with the Giant Mine team trying to  
21 understand natural analogues to Baker Creek, we can go to  
22 upper Baker to look at a natural analogue in terms of  
23 habitat. But in terms of availability of this habitat to  
24 species from Great Slave Lake, we have been unable to  
25 find a reference stream.

1                   The Yellowknife River has been used under  
2 the environmental affects monitoring but, again, that's  
3 to do with substrate and things like that. But we've  
4 provi -- had some input from the Yellowknives Dene on a  
5 couple of known arctic grayling spawning sites with  
6 access from Yellowknife Bay, but they are not at any  
7 weight, any scale of what Baker Creek is.

8                   So we -- we -- there's more work to be  
9 done. But based on the preliminary reconnaissance we've  
10 done, we haven't been able to find a similar type of  
11 stream with the same channel configurations and  
12 hydrologic regime and habitat available that Baker Creek  
13 has.

14                   Based on a literature search, the closest  
15 river that we've been able to find where there's  
16 documented arctic grayling spawning is the Boleo  
17 (phonetic) River, which is about 70 kilometres east  
18 towards the East Arm.

19                   So there's several rivers off towards the  
20 East Arm. The closest stream that we know of or river  
21 that has arctic grayling spawning with access from Great  
22 Slave Lake is -- to the west is the Kakisa River, which  
23 is in the South Slave. So in the North Slave region  
24 there are some rivers available over by the East Arm.  
25 But in terms of Yellowknife Bay, we -- we haven't been

1 able to find a similar system to Baker. There's more  
2 work that has to be done on that.

3                   The Yellowknife River, there's  
4 documentation of potential grayling spawning but, again,  
5 it's a very different system, provides different  
6 availability seasonally. So that's our current  
7 understanding, and -- and that's why the -- it is a  
8 fairly unique creek. It provides some valuable habitat  
9 and it is limiting based on our knowledge right now in  
10 the context of Yellowknife Bay for sure. In the North  
11 Slave region we're unsure.

12                   THE FACILITATOR EHRLICH: Thank you,  
13 Morag. That addresses part of the question I originally  
14 directed towards Giant, but the other part that I'm  
15 asking is -- I'll paraphrase:

16                   In your view, would it be fair to say that  
17 the grayling which are using Baker Creek are the same --  
18 the contaminated environment in -- in Baker Creek are the  
19 same grayling that would be caught by recreational  
20 fishermen or subsistence harvesters in Yellowknife Bay,  
21 or may be caught by subsistence harvesters or rec --  
22 recreational fishermen in Yellowknife Bay?

23                   MS. MORAG MCPHERSON: Morag McPherson,  
24 Fisheries. Yes, they -- they are a migratory species, so  
25 they move in, they spawn, and the adults move out into

1 the bay. So they come from the bay, they move into the  
2 creek, they spawn, and they move out. So the time that  
3 the adults are within the bay is approximately, I would  
4 say, three (3) weeks to four (4) weeks at most -- sorry,  
5 or in the creek. But they originate from the bay and  
6 they return to the bay after about one (1) month in -- in  
7 Baker Creek.

8 THE FACILITATOR EHRLICH: Thank you. Do  
9 we have any other questions from the Review Board's  
10 consultants? Doug Ramsey...?

11 MR. DOUG RAMSEY: Doug Ramsey. I have  
12 one (1) more question related to Baker Creek. Now, this  
13 goes to the presentation this morning that indicated that  
14 there was going to be an approximately 24 percent  
15 reduction in arsenic loading to Yellowknife Bay as a  
16 result of the remediation project. Now, in looking  
17 through the -- the mass flux information here, it appears  
18 that Baker Creek, in passing across the mine site, picks  
19 up approximately 260 kilograms per year of arsenic, and  
20 that 260 kilograms per year increase in passing across  
21 the -- the mine site represents a fairly significant  
22 percentage of the total loading that will continue into  
23 Yellowknife Lake -- or Yellowknife Bay post-remediation.

24 What is the possibility to eliminate some  
25 of -- some or all of that pickup perhaps by redirection

1 of Baker Creek away from the mine site?

2 MR. BRUCE HALBERT: Bruce Halbert, for  
3 the record. I'm going to refer back to a -- a summary  
4 slide I had, and on that slide it showed several  
5 breakdowns in the arsenic loading. Coming into the site  
6 was 220 kilograms from upstream, and I mentioned that  
7 from the west of -- of the creek, there was about 67  
8 kilograms coming in. That's really an off-site  
9 contribution. So the total coming into the site -- and  
10 let's round it at seventy (70) -- is about two hundred  
11 and ninety (290) of the total is coming from, if you  
12 will, peripheral to the site. And the remaining portion  
13 is attributed to the site from -- from the four eighty  
14 (480) figure we had shown.

15 So in the longer term, as far as the  
16 arsenic load directly from the site itself, we were  
17 showing a figure of approximately 190 kilograms per year.  
18 And that was being very conservative, not allowing really  
19 any, if you will, other than a small reduction from the  
20 loading area in around the mill complex, which is a very  
21 contaminated area, and removal of soils in that area, it  
22 was assumed that the rest would stay steady-state, if you  
23 will, or constant over time. I don't think that's  
24 probably realistic but we took a conservative approach.

25 THE FACILITATOR EHRLICH: Doug Ramsey, do

1 you have a follow-up?

2 MR. DOUG RAMSEY: Doug Ramsey. Just to  
3 clarify, then, this represents -- you did not consider  
4 the potential for redirection of Baker Creek and the --  
5 any resultant reduction in arsenic loading as -- as an  
6 alternative as part of the remedial project?

7

8 (BRIEF PAUSE)

9

10 MR. BRUCE HALBERT: Bruce Halbert, for  
11 the record. No, we did not try to factor that in. This  
12 drainage we're talking about is not directly to Baker  
13 Creek, right? So, I mean, this is drainage coming into -  
14 - into Baker Creek, so it was not taken into  
15 consideration.

16 THE FACILITATOR EHRLICH: Doug Ramsey, do  
17 you have a follow-up to that? While you're considering,  
18 I -- I'm happy to ask one (1).

19 So if Baker Creek was redirected, what  
20 proportion of the arsenic coming off the mine site -- no,  
21 how much percentage-wise would that reduce the amount of  
22 arsenic from the mine site entering Great Slave Lake?

23 MR. BRUCE HALBERT: Bruce Halbert, for  
24 the record. We -- we of course have not tried to --  
25 attempted to answer that -- that specific question. But



1 -- but my -- my take on it would be simply that if we're  
2 redirecting the creek, it doesn't mean we don't still  
3 have drainage coming off the site, and residual flow  
4 going down Baker Creek. So presumably most of this load  
5 would still enter Back Bay, regardless.

6 THE FACILITATOR EHRLICH: The part --  
7 it's Alan Ehrlich. The part that I'm unclear about  
8 though is if you've got a much smaller volume, you know,  
9 I mean it seems to me there may be opportunities to treat  
10 the residual, which don't exist for the treating the  
11 entire volume of Baker Creek if Baker Creek was released  
12 elsewhere.

13 Am I mistaken?

14 MR. BRUCE HALBERT: Bruce Halbert. It's  
15 a complex question, and this -- this loading that's shown  
16 coming in is not coming in in defined flow streams. So  
17 this is a dispersed, if you will, runoff that's entering  
18 the stream, so the concept to try and collect it is,  
19 while interesting, it would be a -- basically a -- you're  
20 -- at the end of the day collecting all of Baker Creek --  
21 whatever remained of Baker Creek.

22 THE FACILITATOR EHRLICH: When you say  
23 "collecting whatever remained of Baker Creek," but with  
24 Baker Creek following a different course. I mean I guess  
25 what I was wondering about is if you collect it at the

1 point before Great Slave Lake where it's more or less  
2 whatever surface drainage has -- has converged, are there  
3 any opportunities there of interest to the Giant team?

4 MS. LISA DYER: Alan -- Lisa Dyer here.  
5 This isn't our current proposal for the project, and so I  
6 -- I feel that we're kind of putting Bruce a little bit  
7 on the spot to speculate some of these situations and  
8 conditions on the spot.

9 There's -- there's a lot of thought that  
10 needs to go into these considerations, so I'm just a  
11 little bit concerned about this line of consideration,  
12 when this isn't our proposed project at the time.

13 THE FACILITATOR EHRLICH: I -- I'm asking  
14 because you point out it -- it is a contingency that's on  
15 the table, which means under circumstances it could be  
16 part of the proposed project. But out of fairness, I --  
17 I know you guys haven't had a long time to chew on it, so  
18 I -- I won't dig too much deeper.

19 I have heard, as well, what the Giant team  
20 said, that Baker Creek is one of the -- the larger  
21 unknowns and harder to predict things on the site, and  
22 that there is some risks that are associated with it.  
23 And I do understand that you're looking at alternatives,  
24 but it's not part of your -- your main proposal. I think  
25 that --

1 MS. LISA DYER: Yeah.

2 THE FACILITATOR EHRLICH: -- I think you  
3 guys have been quite -- quite clear about that.

4 MS. LISA DYER: No, I -- I appreciate --  
5 I appreciate why you're asking these questions. I think  
6 they're logical questions to ask.

7 We haven't had a lot of -- what we've done  
8 originally -- or to date is we've gone out, we've done an  
9 aerial extent of the northern diversion, and we've looked  
10 at two (2) potential routes. We're really early on in  
11 the stages of looking at this. As I said, this came out  
12 because of a Section 37 directive: What is your  
13 contingency if things go wrong?

14 And we're looking at that. So it's the  
15 early stages of us kind of looking at this contingency.  
16 So to be fair to Bruce, he hasn't done all these  
17 calculations. We're more than open, if there's further  
18 lines of questioning, to provide the information if you  
19 feel it's necessary and useful. I just don't think we're  
20 going to be able to -- to provide that here.

21 THE FACILITATOR EHRLICH: By here, do you  
22 mean today, or do you mean --

23 MS. LISA DYER: Today.

24 THE FACILITATOR EHRLICH: -- this week  
25 or...?

1 MS. LISA DYER: Today.

2 THE FACILITATOR EHRLICH: Okay. Well  
3 look, if there's -- let -- let me think about if there's,  
4 you know, a more clear undertaking you might be able to  
5 take back with you before we -- we go any further

6 MS. LISA DYER: No, we appreciate the  
7 questions, it's just we don't have this information  
8 readily available to present.

9 THE FACILITATOR EHRLICH: Yeah, fair  
10 enough. Are there any other questions from the Review  
11 Board's consultants?

12

13 (BRIEF PAUSE)

14

15 THE FACILITATOR EHRLICH: Are there any  
16 other questions from Alternatives North, the City, or the  
17 Yellowknives Dene First Nation?

18

19 (BRIEF PAUSE)

20

21 MR. DENNIS KEFALAS: I have one (1) quick  
22 question.

23 THE FACILITATOR EHRLICH: That's Dennis  
24 Kefalas with the City of Yellowknife.

25 MR. DENNIS KEFALAS: Sorry, Dennis

1 Kefalas with the City of Yellowknife. I -- just  
2 regarding Reach number 1 or Reach 1, in the proposed -- I  
3 guess, improvements to Baker Creek. That runs right  
4 through our access to the Giant boat launch. What  
5 measures will be in place to ensure that we'll have --  
6 continue to have access to the Giant boat launch?

7 THE FACILITATOR EHRLICH: Dennis, could  
8 you please repeat the -- the first part of that question?

9 MR. DENNIS KEFALAS: If you revert -- if  
10 you go back to page 4, I guess it's slide -- slide 7, it  
11 shows that the -- Reach 0, 1, and 2, with the proposed  
12 closure activities concerning Baker Creek and its  
13 improvements.

14 Reach 1, the actual diversion, actually  
15 goes right through our existing access road to the Giant  
16 Mine boat launch, and what measures will be put in place  
17 to ensure we continue -- continue to have access to the  
18 boat launch?

19 THE FACILITATOR EHRLICH: It looks to me  
20 like the Giant team needs a moment to discuss that.  
21 Nope, they're -- they're ready to respond.

22 MR. MARK CRONK: Mark Cronk. In response  
23 to that question, Dennis, we will maintain access to your  
24 city boat launch with those improvements to Reach 1.

25 MR. DENNIS KEFALAS: Thank you.

1                   THE FACILITATOR EHRLICH:    So I'd the --  
2 the record to clearly show that the Giant team has made a  
3 commitment to maintain access to the city -- the city  
4 boat launch. Am I referring to that correctly? The --  
5 the Giant Mine boat launch, regardless of the site  
6 changes that may happen as a result of improvements to  
7 Reach 1.

8                   Is that correct, Mark?

9                   MR. MARK CRONK:    That is correct.

10

11 --- COMMITMENT NO. 1:           Giant team to maintain access  
12 to the Giant Mine boat launch  
13 regardless of site changes  
14 that may happen as a result  
15 of improvements to Reach 1

16

17                   THE FACILITATOR EHRLICH:    Thanks. Again,  
18 that's -- that's the kind of thing in our technical  
19 sessions working the best. You've got a concern, it  
20 comes up, you guys completely put it to bed, say a little  
21 lullaby, and it's over.

22                   Some of these other things, I understand  
23 why you might need more time to, you know, take it back  
24 and think about it. But I really do appreciate where  
25 you're able to, you know, to just deal with something on

1 the spot, or -- it's very helpful.

2 Okay, now. Kevin O'Reilly...?

3 MR. KEVIN O'REILLY: Thanks, Alan, it's  
4 Kevin O'Reilly, Alternatives North. Dennis actually took  
5 one (1) of my questions.

6 So, but I -- I wanted to have -- I have  
7 one (1) other question about that Reach 1. When I look  
8 at it on the slide 7, it looks like it would cut the  
9 corner right off the -- the road there and maybe even go  
10 through part of the -- I think it's the A-frame complex,  
11 that the mining heritage folks have identified as  
12 potential heritage buildings and so on.

13 So what's the plan for that?

14 THE FACILITATOR EHRLICH: A -- a brief  
15 answer now would be okay, but I think this would be a  
16 pretty good fit with a -- the surface planning as well,  
17 because it's sort of an intersection of both points. So  
18 if you can give a short answer now, great. If it's a  
19 long answer, let me know and we'll do it tomorrow.

20 MR. ADRIAN PARADIS: Adrian Paradis for  
21 the project team. A-shaft, regardless, is gone due to  
22 both structural and health and safety hazards, one (1)  
23 way or the other, so.

24 THE FACILITATOR EHRLICH: You see, Kevin,  
25 there, the question was about water, but the response was

1 about surface stuff. It all overlaps here. Do -- do you  
2 want to follow up with something else?

3 MR. KEVIN O'REILLY: Sure. Kevin  
4 O'Reilly, Alternatives North. Look, I'll confess to some  
5 conflict of interest because I'm a member of the Mine  
6 Heritage Society, or I pay my ten (10) bucks a year, but  
7 -- 'A' -- A-shaft, if it goes, it's probably not a big  
8 deal, but they've also I think expressed interest in one  
9 (1) or two (2) other buildings.

10 There's one (1) that they use to store a  
11 bunch of records and things in, so is that gone as well,  
12 or -- and I know this is in the early stages and you guys  
13 may have thought about it, but I'm just asking the  
14 question.

15 THE FACILITATOR EHRLICH: Giant team...?

16 MR. ADRIAN PARADIS: I -- Adrian Paradis  
17 for the project team. I don't want to waste too much of  
18 a very brief amount of time, but probably best to talk  
19 about this tomorrow, through surface.

20 THE FACILITATOR EHRLICH: Okay to the --

21 MR. KEVIN O'REILLY: Sorry, another  
22 question if I may, thank you.

23 THE FACILITATOR EHRLICH: Is it a follow-  
24 up to that one (1)?

25 MR. KEVIN O'REILLY: No, it's about



1 another Reach on Baker Creek.

2 THE FACILITATOR EHRLICH: Okay. Hold  
3 that thought, let's give the Yellowknives a shot at it  
4 too, but -- Lukas Novy from Arktis, on behalf of the  
5 Yellowknives. Did I understand that you have a question?

6 MR. TODD SLACK: I was -- I have a  
7 question about a different topic if Kevin can promise to  
8 keep it short, then, you know, I'll give him a shot, if  
9 he stays on the Reach topic.

10 THE FACILITATOR EHRLICH: At this time of  
11 day, short is all we can offer. Kevin, please go ahead.

12 MR. KEVIN O'REILLY: Look, I'm 5'6"  
13 already, so. Kevin O'Reilly, Alternatives North.

14 Reach 3 seems to go through the highway a  
15 couple of times, and presumably you want to maintain site  
16 access, so you're going to have to realign the -- the  
17 highway or the -- the -- the road access through there?

18 MR. ADRIAN PARADIS: That is correct, we  
19 will move the highway farther east to make room for the  
20 realigned creek. Mark Cronk.

21 THE FACILITATOR EHRLICH: Adrian Paradis,  
22 you're supposed to say your name before you say Mark  
23 Cronk's name.

24

25 (BRIEF PAUSE)

1 THE FACILITATOR EHRLICH: Kevin's done.

2 MR. TODD SLACK: I also have a couple  
3 short ones and one (1) long one.

4 THE FACILITATOR EHRLICH: Go -- go ahead  
5 Todd Slack of Yellowknives.

6 MR. TODD SLACK: Todd Slack, Yellowknives  
7 Dene. I'm wondering if INAC is willing to make a ten  
8 (10) year -- or a review of best technologies for water  
9 treatment on a ten (10) year basis and monitor the  
10 commitment that they have in place in terms of the -- the  
11 block existing technology review?

12

13 (BRIEF PAUSE)

14

15 MR. ADRIAN PARADIS: Adrian Paradis for  
16 the project team. Not on a ten (10) year but we would do  
17 it on a twenty (20) year cycle. Part of the reason why -  
18 - sorry, I apologize. Part of the reason why, it would  
19 be it's coming close to the recapitalization at that  
20 time. So it would just make some sense to actually look  
21 at it and try make sure that best technologies are going  
22 to be put in place.

23 MR. TODD SLACK: I appreciate the answer.  
24 Todd Slack, YKDFN.

25 THE FACILITATOR EHRLICH: And Jeff Humble

1 from the City of Yellowknife has a question.

2 MR. JEFF HUMBLE: Thanks. Jeff Humble,  
3 City of Yellowknife. I'm not sure, I think this might  
4 overlap a bit with tomorrow, but it does -- it was in the  
5 water IRs and that's with regards to the shoreline  
6 tailings.

7 And the City is undergoing a -- a harbour  
8 plan that we've been in consultation for several years,  
9 and one (1) of the -- one (1) of the preferred sites for  
10 a marina is the Giant Mine site and it is being used for  
11 mooring purposes.

12 We know in consultation with various  
13 stakeholder groups that there is ongoing redevelopment  
14 work with regards to the -- the Great Slave Cruising Club  
15 docking facilities. We know that we may need to look at  
16 doing some dredging there in the future to facilitate the  
17 marina. And the response in the IRs was it was beyond  
18 the scope and that it could be addressed at a later stage  
19 with environmental assessment.

20 I was just wondering how that would be  
21 addressed at a future date if the City was to proceed on  
22 a detailed planning process, the likelihood of that  
23 occurring and then who would bear the expense should  
24 there be any additional remediation work related to -- to  
25 those undertakings.

1                   THE FACILITATOR EHRLICH:   Mr. Humble,  
2 this sounds suspiciously similar to a question that was  
3 also raised by a different party. I -- I mean --  
4 suspiciously -- it's not suspicious -- of -- of -- this  
5 is my ill attempted humour late in the day.

6                   But the Yellowknives asked a similar  
7 question which had to do with potential effects on future  
8 uses of the marina, and the Review Board's response on  
9 that was that the Review Board wasn't comfortable  
10 including in the scope of EA sort of distant theoretical  
11 projects that haven't been applied -- for which there's  
12 been no application to date.

13                   If your question applies specifically to  
14 not the effects of Giant Mine, but specifically to the  
15 effects of this particular project on some aspect of the  
16 environment or -- or people, could you rephrase it that  
17 way?

18                   MR. JEFF HUMBLE:   I guess if the City  
19 determined as the outcome of our harbour plan that Giant  
20 Mine is the preferred site for the marina, we are like to  
21 make a significant investment in that site. Would that  
22 then be deemed sufficient to initiate a process to -- to  
23 begin further work in terms of what environmental work  
24 would need to occur in conjunction with the remediation  
25 plans.

1                   THE FACILITATOR EHRLICH:    I'm still a  
2 tiny bit fuzzy on this, but you're saying that if the  
3 City went ahead and proposed -- proposed a new marina  
4 development within that area, would that be enough to get  
5 the Giant Mine team talking with the City team about how  
6 it could go ahead?

7                   Is that -- is that it?  I -- I just feel  
8 like I might have misunderstood that again.

9                   MR. JEFF HUMBLE:    Yeah, sorry.  Jeff  
10 Humble, City of Yellowknife.

11                   Yeah, essentially I believe that catches  
12 the -- the gist of it.  We know from talking with the --  
13 the engineering team that's part of our project team  
14 doing the -- the harbour study that there may need to be  
15 dredging work, for example, that needs to occur.  
16 Obviously, that's going to have implications on the -- on  
17 the shoreline tailings that are there.  So who holds the  
18 -- the risk, the liability if -- if we look to undertake  
19 something to that effect?

20                   And can we even undertake it in a -- in a  
21 time frame of what's proposed for the remediation plan?  
22 Or do we just simply have to wait until this process is  
23 concluded and then go through a separate environmental  
24 assessment to determine if such a project is feasible?

25                   I guess it's a scope question, but it

1 could also be a development team question in terms of  
2 whether the developer has a proposal that -- that we  
3 could work with them on something like that, or whether  
4 it's something that we could look at in terms of the  
5 scope, in terms of the City making a submission to the --  
6 to the Board.

7 THE FACILITATOR EHRLICH: Well, the Board  
8 has pointed out that for theoretical developments that  
9 aren't proposed at this time, specifically with regard to  
10 the marina area in response to the Yellowknives'  
11 question, that that is not within the scope of the EA,  
12 didn't make any conclusions about projects that are  
13 proposed at this time. So you're -- you're welcome to  
14 send the Board a letter asking if -- if that would be --  
15 if the same answer that the Yellowknives got applies when  
16 the project has been proposed.

17 The other question that I think I heard  
18 is: We're the Giant team and I'm going to assume it's  
19 outside of the particulars, outside of the EA process,  
20 but would the Giant team be willing to sit down and talk  
21 with the City planning team about the proposed marina so  
22 that you can harmonize where possible.

23 MS. JOANNA ANKERSMIT: Yeah, I was just  
24 going to say, the Giant team is very open to having  
25 discussions and working collaboratively with the City. I

1 think it's a theme that we're trying to let people know  
2 that it's -- it's our intention to work as  
3 collaboratively as we can with people and, of course,  
4 more than happy to sit down and have those discussions.

5 Joanna Ankersmit.

6 THE FACILITATOR EHRLICH: Mr. Humble,  
7 it's -- it's Alan Ehrlich again.

8 So would you be willing to have those  
9 discussions with the Giant team outside of the EA  
10 process?

11 MR. JEFF HUMBLE: Jeff Humble, City of  
12 Yellowknife.

13 Yeah, thank you very much. That's a step  
14 in the right direction. I think we -- we also share  
15 similar community needs with the YKDFN on that matter.  
16 So we probably would like to involve them and perhaps  
17 Alternative North on -- on those discussions going  
18 forward. So we look forward to that. Thank you.

19 THE FACILITATOR EHRLICH: Does that  
20 pretty much suit what the Giant team had in mind?

21 MS. JOANNA ANKERSMIT: I have a feeling  
22 we'll be talking to lots of people, so, yes.

23 THE FACILITATOR EHRLICH: All right. It  
24 sounds like we score another point for the technical  
25 sessions. But at least there's a venue for this to be

1 resolved.

2 I don't see how talking to the Giant team  
3 outside of the EA process in any way limits or prevents  
4 you from asking for a clarification on the scope of the  
5 EA for a project that is proposed, if -- if that's the  
6 course that the City wants to follow. I -- I just want  
7 to be clear on that. It's really up to the City as a  
8 party how -- how it wishes to proceed.

9 But I'm certainly happy to hear the  
10 openness amongst both parties to discuss it and try and  
11 sort it out in its own meetings.

12 MR. JEFF HUMBLE: Just in closing, Jeff  
13 Humble, City of Yellowknife. Thanks.

14 And I suppose it relates a bit to  
15 tomorrow's discussion too regarding the land matter, but  
16 that's certainly a -- a topic of very high interest on  
17 behalf of the City of Yellowknife, so perhaps you -- you  
18 may hear a little bit more on that tomorrow. Thanks.

19 THE FACILITATOR EHRLICH: Okay. We look  
20 forward to it.

21 And, Kevin, did -- you had another  
22 question which was parked, right?

23 MR. KEVIN O'REILLY: Thanks, Alan. Kevin  
24 O'Reilly, Alternatives North. I got a few questions, but  
25 I think I'll ask an -- an easy one. Maybe it's easy.



1 Just what happens to the sewage onsite during the  
2 construction implementation phase, and then the longer  
3 term? Are you going to keep putting it in with the  
4 tailings, or is it going to be trucked, or what?

5 MR. ROBERT BOON: Yeah, the -- the  
6 current plan with the -- Bob Boon speaking. Yeah, the  
7 current plan with the water treatment plant is to have  
8 truck-out sewage from the plant.

9 MR. KEVIN O'REILLY: Sorry. Kevin  
10 O'Reilly, Alternatives North. Is that for -- does that  
11 include, like, construction implementation phase and the  
12 longer term, or is it -- I see, yes, but maybe Mark wants  
13 to put that into the mic. Thanks.

14 MR. MARK CRONK: Mark Cronk. The  
15 demolition sequence of all the buildings is not  
16 specifically laid out at this point in time. There is  
17 only one (1) building that provides real sewer and water  
18 at this point in time. Until we schedule when that comes  
19 down, it'll affect a little bit about how we manage it.

20 Given that all the buildings on the site  
21 are coming down, general assumption would be we're  
22 trucking everything offsite, yes.

23 THE FACILITATOR EHRLICH: Kevin, do you  
24 have another question on this subject? It's going to be  
25 --

1 MR. KEVIN O'REILLY: A different topic.

2 THE FACILITATOR EHRLICH: Well, we --  
3 we've got about three (3) minutes before the wrap-up  
4 begins. Perhaps it's a topic that's better carried over  
5 for tomorrow morning, like some of DFO's questions will  
6 be. We will still be continuing with the subject of  
7 water for the first part of tomorrow, before the  
8 developer's presentation.

9 Can you live with that?

10 MR. KEVIN O'REILLY: Sure. Maybe this is  
11 a quick one. Can I try it? Kevin O'Reilly, Alternatives  
12 North. In response to Alternatives North IR Number 14,  
13 you said that the diffuser design would be ready, I  
14 think, in the fall of this year. And is that design --  
15 is that report what we've seen today, or is there a  
16 different report, and is it going to get submitted to the  
17 Review Board, and when?

18 THE FACILITATOR EHRLICH: Would the Giant  
19 team like to respond to that?

20 MR. KEVIN O'REILLY: Sorry, Alan. It's  
21 Kevin O'Reilly, Alternatives North. It's at the very end  
22 of our IR response number 4, or their -- their response  
23 to the IR Number 14. It says:

24 "Results will be presented in the  
25 preliminary design report expected for

1                   the fall of 2011."

2                   I think we're almost there, so I'm just  
3 wondering when.

4                   THE FACILITATOR EHRLICH:    So the question  
5 to the Giant team is: Was the report that's mentioned in  
6 the IR response the same as what you have presented  
7 today?

8                   MR. ADRIAN PARADIS:    Hi. Adrian Paradis  
9 for the project team. What we'll do is we'll incorporate  
10 that into the undertaking for the Review Board to  
11 describe the differences between the -- what was in the  
12 DAR forward in design where the changes are, and we'll  
13 provide a supplemental onto that undertaking to talk  
14 about the -- the diffuser.

15                  THE FACILITATOR EHRLICH:    Kevin, does  
16 that work for you?

17                  MR. KEVIN O'REILLY:    Sorry. Kevin  
18 O'Reilly, Alternatives North. Just so I understand it,  
19 so then there's going to be like an appendix or  
20 something? You're actually going to attach the  
21 preliminary design report, or is it just going to be like  
22 a three (3) page summary or -- I'm just trying to  
23 understand if it's a separate report, you've already  
24 almost got it in hand, or whether it's just some sort of  
25 summary.

1 MR. ADRIAN PARADIS: It'll be a summary  
2 of actually what the -- where we're at with the diffuser  
3 at this point.

4

5 (BRIEF PAUSE)

6

7 THE FACILITATOR EHRLICH: Kevin, are you  
8 okay with what you just heard?

9 MR. KEVIN O'REILLY: Sorry. Kevin  
10 O'Reilly, Alternatives North. If there was a full  
11 report, I think that would be better, but if it's just  
12 going to be a summary, we'll take what we get, and if we  
13 have to ask an IR about it, we -- we may have to. So  
14 thanks.

15 THE FACILITATOR EHRLICH: How does the  
16 Giant team feel about submitting the whole report  
17 electronically for the public record?

18

19 (BRIEF PAUSE)

20

21 MR. MARK CRONK: Mark Cronk. Kevin, the  
22 report is not ready yet. They're coming in in draft as  
23 we speak right now. The report also deals with internal  
24 issues, cost estimates and things like that, that we  
25 don't feel is appropriate to make a matter of public

1 record.

2                   So we will strip out the details that I  
3 think you'll want to see and submit them to you.

4                   MR. KEVIN O'REILLY:    Okay.

5                   MR. MARK CRONK:     Okay.

6                   THE FACILITATOR EHRLICH:   Okay.  I'm  
7 going to wrap it up now.  I'd like to thank you all for  
8 what has been I think another productive and interesting  
9 day.  I think that even people who knew a fair bit about  
10 the project learned more about the project.  And I do  
11 feel like there was some pretty constructive dialogue.  
12 Not that we've covered everything having to do with  
13 water, but I'm convinced that it won't take much longer  
14 tomorrow to get caught up with that.

15                   How do people feel about starting at 8:30  
16 tomorrow instead of nine o'clock, as the agenda shows?  
17 Is there anyone who needs to be here for the discussion  
18 on water who can't make it for 8:30 in the morning?

19                   MR. LISA DYER:     I cannot make it for 8:30  
20 in the morning and neither can Adrian Paradis.

21                   THE FACILITATOR EHRLICH:   In that case,  
22 is nine o'clock...

23                   MS. LISA DYER:     We do.  We have a date  
24 with the media, so we've committed to an interview.  So,  
25 unfortunately, we're a little bit committed there.  And

1 so that should -- don't start any rumours about Adrian  
2 and I. Lisa Dyer, that is. Yeah. Okay, you guys, it's  
3 getting late in the day.

4 THE FACILITATOR EHRLICH: They're not  
5 rumours until they're reported in the media.

6 So, in that case, let's stick with nine  
7 o'clock in the morning as our start time. We're going to  
8 try and keep up the spritely pace that we picked up  
9 around 2:30 here and just try to make sure that we get  
10 through everyone's questions on all these subjects.

11 In terms of tasks and undertakings, there  
12 weren't as many today as there were before. I believe  
13 those people who are involved and who have -- who have  
14 offered to do them know what they are.

15 A short recap: Anyone here who asked for  
16 an undertaking, we can get it in your own words. I guess  
17 I'll start out with -- we know that there was one (1)  
18 from our own team. Lukas Arenson asked for some  
19 questions on how new models regarding Giant have been  
20 considered, and also how they've affected project design,  
21 in other words, current understanding.

22 That's pretty much what Giant team took  
23 away from that. Is that correct?

24 MR. ADRIAN PARADIS: Yes. Adrian  
25 Paradis.

1 THE FACILITATOR EHRLICH: And for the  
2 record, Kevin O'Reilly just acknowledged yes to the same  
3 subject. Is that -- is that right?

4 MR. KEVIN O'REILLY: Sorry. Kevin  
5 O'Reilly. I was asleep at the wheel. What was the  
6 question?

7 THE FACILITATOR EHRLICH: Hold on one (1)  
8 second, please.

9  
10 (BRIEF PAUSE)

11  
12 THE FACILITATOR EHRLICH: Sorry, that was  
13 me going backward. I'm reading a note that says, "For  
14 the record, Kevin O'Reilly acknowledged yes," which is  
15 generic.

16 Turns out that it meant Kevin O'Reilly  
17 nodded but did not say into the microphone that, yes, a  
18 summary report for the time being would be okay regarding  
19 the diffuser design with costs removed, and that's what  
20 Paul noticed you nodding yes to, but it didn't get  
21 captured on the record.

22 MR. KEVIN O'REILLY: Sure. Kevin  
23 O'Reilly, Alternatives North. If the -- if what we get  
24 is the report and stripping out the costs. And look, I  
25 understand you don't -- that's proprietary stuff. That's

1 fine. But I think more than just a couple of pages on  
2 the diffuser design would -- would be really helpful in  
3 understanding what went into the design of it. So  
4 thanks.

5 THE FACILITATOR EHRLICH: And that's  
6 something that the Giant team has undertaken to provide.  
7 When will you be providing that by?

8 November 14th is the date for our other  
9 written undertakings. Are you talking about something  
10 this week or something by the undertaking date?

11 MR. ADRIAN PARADIS: November 14th or  
12 before.

13 THE FACILITATOR EHRLICH: Are there any  
14 other -- there may be other undertakings that we find  
15 when we're rereading the transcript. But off the top of  
16 people's heads, are there any other undertakings people  
17 can recall just to remind everyone about them now?

18 MR. TODD SLACK: Sorry, I don't know if  
19 you were talking just undertakings or commitments or  
20 tasks.

21 THE FACILITATOR EHRLICH: Let's throw  
22 tasks in there as well, tasks being the phrase we're  
23 using for things that we hope will be resolved during the  
24 technical session; undertakings for written homework for  
25 November 14th.



1 MR. TODD SLACK: Todd Slack, YKDFN.  
2 There was a task to provide from -- I can't remember if  
3 the date was this afternoon or tomorrow, and I'm fine  
4 with either -- a commitment in terms of providing a  
5 timeline response on further ice studies, along those  
6 lines. I -- I can't remember the exact text of the  
7 commitment, but I think I'm paraphrasing it fairly.

8 THE FACILITATOR EHRLICH: As I recall, it  
9 was that the Giant team was going to try to give the  
10 Yellowknives Dene more information, a more detailed  
11 answer regarding ice cover around the diffuser. We  
12 originally said before the end of the day, but because  
13 we're out of time, is that something that you're planning  
14 to do tomorrow?

15 MS. LISA DYER: Well, I think, by having  
16 John come back and talk to -- about diffuser design after  
17 lunch, we tried to provide that information after lunch.

18 THE FACILITATOR EHRLICH: So, Todd Slack,  
19 it -- it sounds like you've actually got the more  
20 detailed information. Is there more that you need to  
21 understand about ice?

22 MR. TODD SLACK: Yeah. Sorry. The  
23 commitment that I remember, or the task that I remember,  
24 was that there was ongoing research, and I was asking --  
25 and I think that this is a fair summarization -- that --

1 as to when that further information would be made  
2 available during this EA, further ice study, ice  
3 business?

4 MS. LISA DYER: So, as John mentioned,  
5 there's going to be kind of calibration of the model done  
6 by gathering information from January through to March,  
7 and so that's to calibrate the model, and results of  
8 that, I think, would not be ready until April or May.

9 THE FACILITATOR EHRLICH: And according  
10 to our current schedule for this EA, hearings are likely  
11 around the end of March, assuming there are no unforeseen  
12 delays, so it's -- it's worth remembering that when you -  
13 - you hear that response.

14 If there's anything else on that subject,  
15 let's defer it till tomorrow morning. I'd like to thank  
16 Trevor for the sound and Wendy for the transcription.

17 We have one (1) more item from Nathan  
18 Schmidt.

19 MR. NATHAN SCHMIDT: Yeah, sorry. Nathan  
20 Schmidt. We had committed to talk to the modeller who  
21 did the diffuser modelling and get back to Lukas on the  
22 thermal convection question. I think we got that  
23 resolved offline?

24 MR. LUKAS ARENSEN: Yes. Lukas Arenson.  
25 We -- we got that offline where we had a quick

1 discussion, and I think that could be put to bed.

2 THE FACILITATOR EHRLICH: So you're  
3 satisfied with the response? As I recall, you were going  
4 to give a short report on that discussion. Can you do  
5 that tomorrow morning?

6 MR. NATHAN SCHMIDT: Nathan Schmidt.  
7 Yeah, I'd be fine with that.

8 THE FACILITATOR EHRLICH: I see Lukas  
9 Arenson nodding, as well.  
10 Kevin, you have a point?

11 MR. KEVIN O'REILLY: Thanks. Kevin  
12 O'Reilly, Alternatives North. There was to be some  
13 further discussion on what the developer's doing in terms  
14 of this wetting research, and I know that was raised by  
15 our guy when he was here. I gave the cell phone number  
16 to those folks, and I don't think that conversation --  
17 maybe it did take place, but I'm not sure that that one  
18 was signed off or resolved.

19 And I also raised the issue about polluter  
20 pays in terms of water -- water quality, water treatment  
21 for the city, and that -- that's not going to get  
22 resolved. So I just wanted to get that out on the record  
23 again.

24 THE FACILITATOR EHRLICH: Right, but for  
25 the -- the last time that you said it's not going to get

1 resolved, I don't remember any particular tasks or  
2 undertakings that were --

3 MR. KEVIN O'REILLY: No, no.

4 THE FACILITATOR EHRLICH: -- assigned to  
5 it.

6 MR. KEVIN O'REILLY: No. Just an  
7 unresolved matter. Thanks.

8 MR. MICHAEL NAHIR: It's Mike Nahir.  
9 Just on the -- I had a brief email chat with Bill Horne,  
10 and we're going to have a chat tomorrow. So there --  
11 there's been some internal discussions from our side, and  
12 we're going to make a proposal to Bill and then see if  
13 that's acceptable.

14 MR. KEVIN O'REILLY: Sorry. Kevin  
15 O'Reilly, Alternatives North. I guess I'd like that put  
16 on the record, whatever the -- the outcome of that is.  
17 So, Michael, whether it's going to be a little memo or a  
18 set of email correspondence, whatever, it should -- I  
19 want that file, please.

20 MR. MICHAEL NAHIR: Sure, I'll -- I'll  
21 put that to file. Mike Nahir.

22 THE FACILITATOR EHRLICH: Nathan Schmidt  
23 of the Giant team had a comment? Oh, okay. Apparently  
24 it's been resolved. Then we're going to break and we're  
25 going to start again at nine o'clock.

1                   A couple of minor items, first of all,  
2 Lisa's hand has never been higher. Lisa...?

3                   MS. LISA DYER: Lisa Dyer, thank you.  
4 Just to clarify, are we going to be -- I mean, we've got  
5 a large group of people here and do we need everyone?  
6 And I'm -- and I'm really thinking about kind of cost  
7 savings. Do we need to have the whole panel here  
8 tomorrow or -- to answer questions on water, or are the  
9 questions that are left specific to diffuser or a topic  
10 or Baker Creek, just so we can -- I'd like be able to say  
11 to people they can go and work on other things if we  
12 don't necessarily need them because I don't want to tie  
13 them up for a full day.

14                   THE FACILITATOR EHRLICH: DFO, what is  
15 the breadth of topics you'd like to cover tomorrow with  
16 respect to the matters that have been carried over from  
17 today?

18                   MS. MORAG MCPHERSON: Morag McPherson  
19 with Fisheries. The questions we had remaining was one  
20 (1) relating to clarifying some of the information  
21 related to fish and fish habitat in Upper Baker Creek,  
22 above the Giant Mine site.

23                   That was in an Information Response to  
24 Alternatives North IR 6. And leading -- that is related  
25 to and leading into some questions we have in terms of

1 the North Diversion contingency plan and information  
2 around that and when it'll be submitted.

3 THE FACILITATOR EHRLICH: Thank you.  
4 And, Kevin, what subjects were you talking about carrying  
5 over? Or, Environment Canada, do you have additional  
6 questions that you are carrying over from today?

7 MS. AMY SPARKS: Amy Sparks, Environment  
8 Canada. I have an additional follow-up question on Baker  
9 Creek.

10 THE FACILITATOR EHRLICH: And I think  
11 it's safe to say there will be a few other questions on  
12 Baker Creek tomorrow morning as well, so you don't want  
13 to discharge everyone who's -- who's dealing with Baker  
14 Creek.

15 And, Kevin, do you have an additional idea  
16 of what kind of a subject that's carried over from today  
17 they'll need people for tomorrow?

18 MR. KEVIN O'REILLY: Thanks, Alan, Kevin  
19 O'Reilly. Here's the -- the -- the areas that I want to  
20 pursue some questions. The North Diversion contingency,  
21 the water treatment plant sludge disposal, and what the  
22 alternative methods for stratification sampling may be.  
23 Thanks.

24 THE FACILITATOR EHRLICH: Okay. I think  
25 we're going to try to -- to focus the carryover items in

1 the first hour or hour and a half of tomorrow and -- and  
2 then start on with the surface remediation matters. So I  
3 hope that provides some sort of scheduling clarity.  
4 Adrian Paradis...?

5 MR. ADRIAN PARADIS: Adrian Paradis for  
6 the Giant team. Water treatment sludge disposal we'll  
7 wind up talking about through surface regardless.

8 THE FACILITATOR EHRLICH: Thank you for  
9 that. Kevin, please go ahead.

10 MR. KEVIN O'REILLY: Thanks. Sorry,  
11 Alan. Kevin O'Reilly, Alternatives North. I misspoke.  
12 I'm not talking about sludge disposal. I want to know  
13 what the chemistry of it is, the stability, toxicity,  
14 that sort of thing, which may have implications for  
15 disposal, but I want to have a better understanding of  
16 what it is, thanks.

17 THE FACILITATOR EHRLICH: But we're still  
18 talking about sludge, which to my understanding fits into  
19 tomorrow's scheduled agenda item no problem. And I see a  
20 lot of nodding.

21 Before you leave, please take your books  
22 off the table and put them on your chairs, because it  
23 makes it easier for them to clean up. We have a --

24 MR. TODD SLACK: The Yellowknives Dene  
25 have four (4) questions tomorrow.

1 THE FACILITATOR EHRLICH: And does the  
2 City of Yellowknife have additional questions regarding  
3 water treatment for tomorrow?

4

5 (BRIEF PAUSE)

6

7 THE FACILITATOR EHRLICH: I -- I don't  
8 see anyone saying yes, so we'll assume they -- they  
9 don't, unless we find out otherwise.

10 MS. LISA DYER: Sorry, Alan, I didn't  
11 hear what topics the Yellowknives Dene's questions were  
12 associated with.

13 MR. LUKAS NOVY: Lukas here, there's one  
14 (1) for Baker Creek. And for you, Todd...?

15 MR. TODD SLACK: Todd Slack. I have one  
16 (1) on fish, and specifically IR 13, for the YK Dene.  
17 And then two (2) on Baker Creek, North Diversion, and  
18 volumes of rock cuts.

19 MS. LISA DYER: Lisa Dyer. Excellent,  
20 that -- that's very helpful for us and thank you for  
21 taking the time to share what your additional questions  
22 and the topics they're on.

23 THE FACILITATOR EHRLICH: Thanks. So if  
24 everyone could please remember to put your books off the  
25 table and onto your seats so they can clean up. And the



1 room will be locked in the evening, and we'll see you  
2 tomorrow at nine o'clock. Thanks.

3

4 --- Upon adjourning at 5:00 p.m.

5

6

7

8 Certified correct,

9

10

11

\_\_\_\_\_

12 Wendy Warnock, Ms.

13

14

15

16

17

18

19

20

21

22

23

24

25